

POLLUTION CONTROL HEARINGS BOARD
STATE OF WASHINGTON

NATIONAL PARKS CONSERVATION)
ASSOCIATION,)
)
Appellants,)
)
vs.) PCHB No. 17-055
)
)
STATE OF WASHINGTON, DEPARTMENT)
OF ECOLOGY, and BP WEST COAST)
PRODUCTS, LLC,)
)
Respondents.)

HEARING, VOLUME IV

April 26, 2018

Tumwater, Washington

Pages 675 through 905

Taken Before:

Kim Otis, CCR
Certified court Reporter
of

Capitol Pacific Reporting, Inc.

2401 Bristol Court SW, Suite C-103, Olympia, WA 98502
Tel (360) 352-2054 Fax (360) 705-6539 Toll Free (800) 407-0148
Tacoma, WA Seattle, WA Aberdeen, WA
(253) 564-8494 (206) 622-9919 (360) 532-7445

Chehalis
(800) 407-0148

Bremerton
(800) 407-0148

www.capitolpacificreporting.com
admin@capitolpacificreporting.com

1 APPEARANCES

2

For the Appellant:

3

Janette K. Brimmer

4

Ashley Bennett

Earthjustice

5

705 2nd Ave, Ste. 203

Seattle, WA 98104-1711

6

206.343.7340

Jbrimmer@earthjustice.org

7

abennett@earthjustice.org

8

For the Respondent, Department of Ecology:

9

Katharine G. Shirey

Office of the Attorney General

10

Ecology Division

2425 Bristol Court SW

11

P.O. Box 40117

Olympia, WA 98504

12

360.586.6769

kaysl@atg.wa.gov

13

14 For the Respondent, BP West Coast Products, LLC:

15

Vanessa Soriano Power

Rachel Cox

16

Matthew Cohen

Stoel Rives LLP

17

600 University St., Ste. 3600

Seattle, WA 98101-3197

18

206.386.7553

vanessa.power@stoel.com

19

rhcox@stoel.com

matthew.cohen@stoel.com

20

Board Members:

21

NEIL WISE, Presiding

22

KAY BROWN

JOAN MARCHIORO

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXAMINATION INDEX

PAGE NO.

EXAMINATION OF:

ERIC HANSEN (continuing)

Direct by Ms. Cox	681
Cross by Ms. Brimmer	692
Redirect by Ms. Cox	724
Examination by Mr. Wise	732
Examination by Ms. Brown	734
Examination by Ms. Marchioro	738
Further Examination by Ms. Brimmer	739
Further Examination by Ms. Cox	745

ALAN NEWMAN

Direct by Ms. Shirey	746
Cross by Ms. Bennett	805
Redirect by Ms. Power	814
Examination by Ms. Marchioro	814
Examination by Mr. Wise	822
Examination by Ms. Brown	822
Further Examination by Ms. Bennett	824
Further Examination by Ms. Shirey	824

GARY HUITSSING

Direct by Ms. Shirey	826
----------------------	-----

EXHIBIT INDEX			
	EXHIBIT NO.	DESCRIPTION	ADMITTED
1			
2			
3	Exhibit No. P-99	October 23, 2016 email Re: NPS Modeling comments	724
4			
5	Exhibit No. P-110	February 9, 2017 email Re: Re capable of accommodating	720
6			
7	Exhibit No. R-33	July 25, 2001, letter from Weber to Higgins	692
8	Exhibit No. R-53	April 26, 2017, comment letter from Johnson to Huitsing	692
9			
10	Exhibit No. R-ECY-1	Resume of Gary Huitsing	829
11	Exhibit No. R-ECY-2	Resume of Alan Newman	748
12	Exhibit No. R-ECY-3	Letter to Maureen Foster, Department of Interior, from Marc Crooks, Ecology, Dated May 23, 2017	869
13			
14	Exhibit No. R-ECY-4	Letter to Gary Huitsing, Ecology, from the Department of Interior, dated April 26, 2017	871
15			
16	Exhibit No. R-ECY-5	Gary Huitsing calculations regarding Q/d for emissions from the Coker Heater Project	860
17			
18	Exhibit No. R-ECY-6	BP Cherry Point Refinery Modeling Protocol, Coker Heaters Replacement Project, March 2014	850
19			
20	Exhibit No. R-ECY-7	Email from Rick Graw, federal land manager, to Ecology, dated March 24, 2014	850
21			
22	Exhibit No. R-ECY-8	Washington State Regional Haze 5-Year Progress Report	756
23			
24			
25			

EXHIBIT INDEX		
EXHIBIT NO.	DESCRIPTION	ADMITTED
Exhibit No. R-ECY-9	Ecology list of NOx costs in recent BACT determinations	785
Exhibit No. R-ECY-10	Louisiana Department of Environmental Quality Briefing Sheet	876
Exhibit No. R-ECY-11	Excerpt from Meridian Energy Group, Inc. Permit Application, Exhibit C: Controls Technology Review	879
Exhibit No. R-ECY-13	Map of nonattainment areas in Indiana showing location of BP Whiting facility	883
Exhibit No. R-ECY-14	Supporting Calculations for Ecology and NWCAA recalculation of SCR BACT cost for NOx in Ecology Technical Support Document	900
Exhibit No. R-ECY-15	Excerpts from EPA Air Pollution Cost Control Manual, Sixth Edition, January 2002	790
Exhibit No. R-ECY-19	Excerpts Chapter 2 Cost Estimation: Concepts and Methodology, U.S. Environmental Protection Agency, November 2017	790
Exhibit No. R-ECY-20	Excerpts of the Statement of Basis for the Air Operating Permit – Final, Shell Puget Sound Refinery, May 5, 2015	790
Exhibit No. R-ECY-21	EPA letter from Robert Miller, Chief, Permits and Grants Section, to Lloyd Eagan, dated February 8, 2000	804

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXHIBIT INDEX

EXHIBIT NO.	DESCRIPTION	ADMITTED
Exhibit No. R-ECY-22	EPA's guidance memorandum, Dated July 28, 1983, Subject: PSD Applicability Pulp and Paper Mill, To Michael M. Johnston	804
Exhibit No. R-ECY-23	Letter from EPA Region 8 to Mr. O'Clare of North Dakota	785

1 BE IT REMEMBERED that on Thursday,
2 April 26, 2018, at 1111 Israel Road S.W., Tumwater,
3 Washington, at 9:00 a.m., before KIM L. OTIS, CCR, the
4 following proceedings were had, to wit:

5

6 <<<<<< >>>>>>

7

8 MR. WISE: Ms. Cox, do you want to
9 continue with your witness.

10 MS. COX: We have Eric Hansen
11 continuing this morning for us.

12

13 ERIC HANSEN, having been previously duly
14 sworn by the Certified Court
15 Reporter, resumed the stand
16 and further testified as follows:

17

18 DIRECT EXAMINATION (Continuing)

19 BY MS. COX:

20 Q Good morning, Mr. Hansen.

21 A Good morning.

22 Q So we were running through issues very quickly yesterday
23 at the end of a long day and I'd liked to briefly recap
24 the bottom line of what we covered.

25 MS. SHIREY: Before you start, could I

1 just ask to make sure that the witness is still under
2 oath.

3 MR. WISE: We are assuming he is still
4 under oath, yes.

5 MS. COX: Thank you.

6 Q (By Ms. Cox): Can you please remind the board of the
7 two main points of disagreement between BP and NPCA
8 regarding issue 1 of the AQRV analysis.

9 A I believe the two primary issues are whether the
10 visibility analysis should consider getting emission
11 units that don't have an increase on the maximum 24-hour
12 emissions as a result of the project, and for the
13 deposition analysis, whether the emissions from affected
14 units should be based on their potential emissions after
15 the project.

16 Q And we covered visibility analysis yesterday afternoon.
17 Can you please summarize how FLAG directs you to
18 calculate visibility impacts analyses.

19 A I cited several excerpts and read several excerpts from
20 FLAG that direct us to use the maximum 24-hour emissions
21 for evaluating visibility.

22 Q In this case, did the National Park Service calculate
23 visibility-related impacts in a manner consistent with
24 FLAG?

25 A No. The Park Service evaluated annual emissions before

1 and after the project that, in my opinion, is
2 inconsistent with FLAG because they're supposed to do it
3 based on 24-hour values. And it's an interesting
4 scientific evaluation but not consistent with how
5 applicants are expected to do their AQRV analyses for
6 the PSD process. I think Kyle Heitkamp pointed out
7 several very significant errors in the annual emissions
8 as well.

9 Q How did BP calculate visibility impacts here?

10 A BP calculated them based on the maximum increase in
11 24-hour emissions attributable to coker heaters. The
12 coker heaters are the only emission units that
13 experience an increase in maximum 24-hour emissions.

14 Q Do you believe this approach was consistent with FLAG?

15 A Yes.

16 Q Switching gears, how does FLAG require a deposition
17 impacts analysis to be performed?

18 A FLAG doesn't specify carefully how it's done, but it
19 does specify that it's an annual issue that we are
20 trying to evaluate how much nitrogen and sulfur is
21 deposited in Class I areas on an annual basis and then
22 we compare the model-predicted value with a deposition
23 analysis threshold that is an indicator of significance.

24 Q Yesterday you discussed that there are new, modified and
25 affected units. Can you remind us briefly of the

1 distinction between those types of units.

2 A I think I said -- I'm sure I said new is fairly obvious,
3 it could only be the new coker heaters that are
4 appropriate in this project. Modified units are those
5 that experience a physical change or a change in the
6 method of operation that increases emissions. It's a
7 very precise definition. There are no modified units
8 associated with the project. And then affected units
9 are those downstream or sometimes upstream units that
10 experience an increase in utilization as a result of the
11 project, but there is no physical change or change in
12 the method of operation.

13 Q And how does FLAG define affected versus modified units?

14 A FLAG does not define those terms. It only uses the
15 words affected units once in one sentence in the whole
16 document.

17 Q Which emission units did BP analyze to calculate that
18 annual emissions increases for deposition from this
19 project?

20 A BP analyzed all the emission units that experienced an
21 increase in annual emissions as a result of the project.
22 That would include the coker heaters and the affected
23 units.

24 Q And how does FLAG direct you to calculate the annual
25 emissions increases from new, modified and affected

1 units?

2 A There are enough references that we're fairly certain
3 that we evaluate the increases from new units and
4 modified units based on their potential to emit, so
5 that's how the coker heaters were evaluated. It doesn't
6 give any guidance whatsoever for affected units.

7 Q In his live testimony, how did Mr. Gebhart suggest to
8 deal with the distinction between modified versus
9 affected units in the absence of direction in FLAG?

10 A Mr. Gebhart suggested in his testimony and in his
11 deposition that there shouldn't be any distinction
12 between affected units and modified units; that they
13 should be treated the same if there's an increase in
14 emissions.

15 Q And do you agree with this approach?

16 A I certainly don't.

17 Q Can you please turn to paragraph 50 in Mr. Gebhart's
18 direct testimony and please read the first sentence of
19 this paragraph for us.

20 A He writes, "For deposition modeling, there is no
21 specific discussion of the emission rate inputs in FLAG
22 as there is for visibility AQRV modeling."

23 Q So how does Mr. Gebhart suggest calculating deposition-
24 related impacts in the absence of guidance in FLAG?

25 A Well, he encourages -- he believes that it should be

1 based on the maximum potential annual emissions.

2 Q And how did BP calculate the annual emissions increases
3 in the November supplement for deposition?

4 A For the coker heaters, which are the new units, it was
5 based on the allowable emissions that were proposed in
6 the application and they subtracted the baseline
7 emissions as recommended by the National Park Service.

8 For the affected units, it was based on the
9 projected actual emissions minus the 2014-2015 baseline
10 as directed by Ecology's PSD manual.

11 Q And what were the results of the deposition impacts
12 analysis?

13 A The predictions showed the deposition in all Class I
14 areas would be less than the deposition analysis
15 threshold.

16 Q And what is your perspective on Mr. Gebhart's suggestion
17 that BP use maximum allowable emissions or potential
18 emissions for all emission units in calculating
19 deposition impacts?

20 A Well, I understand that it is appropriate for new and
21 modified units, I agree with him there, but for affected
22 units, that's a ludicrous concept. And I can give you
23 an example that I hope makes it easier.

24 If there is an affected unit at the refinery that
25 currently operates at, say, 5,000 gallons per year, but

1 it could operate at 10,000 gallons a year, that's its
2 potential design, say, so if the project, this project,
3 allows it to increase from 5,000 to 6,000 gallons per
4 year, I think of that as its potential after the
5 project, that's the affect on the project, that
6 incremental value, and that's what BP analyzed in the
7 application. What Mr. Gebhart is suggesting is that the
8 maximum potential of that unit should be evaluated, in
9 other words, the 10,000 gallons a year, that is its
10 potential emissions, but it's not characteristic, it's
11 not indicative of what the effect of the project was,
12 and that's what PSD is all about is evaluating a
13 project.

14 Q In your opinion, is the approach taken by BP to evaluate
15 deposition-related impact consistent with FLAG?

16 A Yes, it is.

17 Q Switching gears a little bit, BP's AQRV analysis
18 determined that the project will have no significant
19 adverse impacts to visibility and deposition in Class I
20 areas; is that correct?

21 A Yes.

22 Q And the Park Service believes that the existing refinery
23 is impairing visibility in Class I areas, correct?

24 A Yes.

25 Q What, in your opinion, is the appropriate regulatory

1 program to address the refinery-wide existing impacts on
2 visibility?

3 A The Clean Air Act established and EPA has implemented a
4 program called the regional haze rule, and the regional
5 haze rule considers all the sources of pollution that
6 affect visibility in Class I areas. It prescribes
7 certain rules and requirements for states to implement
8 new plans that will address visibility toward a goal of
9 no human impact or restoration of pristine visibility by
10 2064. And there are a series of steps in there that
11 include basically a glide path, various check-off
12 points, the first being 2018. The regional haze rule is
13 more appropriate because it considers all the factors
14 that affect regional haze, the visibility, not just the
15 project.

16 Q And the PSD program is distinct from this in what
17 respect?

18 A It only evaluates a single project.

19 Q Are you aware of any instances where the Park Service
20 has acknowledged that the regional haze program is the
21 appropriate mechanism to address refinery-wide
22 visibility impacts?

23 A Yes. There was a recent similar situation with the
24 Tesoro Refinery in Anacortes.

25 Q Can you please turn to Exhibit R-53.

1 A In which binder?

2 Q The one to your left, yes. Can you please explain what
3 this letter is first.

4 A It's a comment letter from Department of Interior to
5 Gary Huitsing at Ecology that describes a modeling
6 analysis that the Park Service did that's similar to the
7 modeling evaluation they did at the BP refinery. And it
8 says how important visibility is, that it's an important
9 value for the Park Service. And it goes on to describe
10 a modeling analysis of the Anacortes refinery emissions
11 and the fact that they show that there is visibility
12 impairment in the Olympic National Park and deposition
13 issues as well.

14 Q And can you please tell us what the date of the letter
15 is for the record.

16 A April 26, 2017.

17 Q Which was after the Park Service commented on BP's coker
18 heater project AQRV analysis?

19 A Yes.

20 Q And I would love for you to read the second-to-the-last
21 paragraph on page 5.

22 A It sort of a closing summary of the document. It says,
23 "We understand that for this modification" -- in other
24 words, the project at Tesoro -- "the only PSD-applicable
25 pollutants are particulate in greenhouse gasses. The

1 above modeling was done based on the current 2014-2015
2 annual emissions from the entire facility. The
3 visibility comments provided here do not apply to the
4 currently proposed modification. However, given the
5 significant visibility impacts of the entire Tesoro
6 facility on the North Cascades and Olympic National
7 Parks, we request that the Tesoro Refinery should be
8 considered for additional controls during the next
9 reasonable progress phase of the regional haze rule.
10 The most significant contributor to visibility impacts
11 is NOx and for this reason, we would also like to
12 commend Tesoro and the Northwest Clean Air Agency on the
13 addition of SCR, the new boiler and the permit limit of
14 9 ppm."

15 Q So in this case, the Park Service calculated AQRV
16 impacts analysis on an annual basis, or annual
17 emissions, excuse me, as they did in BP's case?

18 A Yes.

19 Q But they reached different conclusions on how to address
20 those visibility-related impacts?

21 A Yes. In this last paragraph, they say we did the
22 analysis, there is an impact, but essentially we're not
23 holding this project accountable for the impacts, and
24 they say that they want Ecology to evaluate this issue
25 in the next regional haze rule update of the state's

1 program.

2 Q Do you agree with the Park Service's approach in this
3 recent Tesoro permit?

4 A Yes, I do.

5 Q And, finally, in your opinion, do you believe BP and
6 Ecology properly evaluated impacts to AQRVs for this
7 project?

8 A Yes.

9 Q And what did the results of the AQRV analysis for the
10 project show?

11 A That Visibility impacts in all national parks in Class I
12 areas would be less than the perceptible visibility
13 impact criteria and that deposition impacts would be
14 less than the threshold value of concern.

15 Q Do you think Mr. Gebhart's claims here regarding the
16 shortcomings of the AQRV analysis have any merit?

17 A No, I don't.

18 Q Thank you. No further questions.

19 MR. WISE: Thank you. Ms. Brimmer,
20 cross?

21 MS. BRIMMER: Yes, Your Honor. Thank
22 you.

23 MS. COX: Can I move for admission of
24 Mr. Hansen's direct expert testimony and his CV, please.

25 MR. WISE: What exhibit -- is the CV

1 part of his direct or --

2 MS. COX: It's part of it, yes, it's
3 an attachment to it.

4 MR. WISE: Any objections?

5 MS. BRIMMER: No objection.

6 MS. COX: And I also forgot to move to
7 admit Exhibit 53 and Exhibit 33.

8 MR. WISE: So R-53 and 33?

9 MS. COX: Yes.

10 MR. WISE: Any objections to those,
11 Ms. Brimmer?

12 MS. BRIMMER: No objection.

13 MR. WISE: Okay. So the direct
14 testimony, including the CV, and R-33 and 53 are
15 admitted.

16 (R-33 & R-53 admitted.)

17

18 CROSS EXAMINATION

19 By MS. BRIMMER:

20 Q Good morning, Mr. Hansen.

21 A Good morning, Ms. Brimmer.

22 Q I just want to confirm that the AQRV modeling done by
23 the Park Service shows that visibility was dominated
24 primarily by nitrates which come from nitrogen oxides,
25 right?

1 A I don't recall if it was dominated by nitrates.

2 Q Okay. Also I want to confirm when we are talking about
3 deposition impacts, we're talking about two separate
4 components, in other words, nitrogen deposition and
5 sulfur deposition, right?

6 A That's correct.

7 Q And each of those are assessed in AQRV modeling?

8 A Yes, they are.

9 Q Now, on page 7, paragraph 19, of your testimony, if you
10 have that in front of you.

11 A I'm at paragraph 19.

12 Q I just want to confirm, this is not an incriminate case,
13 in other words, it is not about consumption or violation
14 of an incriminate; that's a different consideration than
15 PSD and that's not at issue in this case, right?

16 A Yes.

17 Q I also want to confirm your written and oral direct,
18 that you distinguish between affected and modified
19 units, I think that's been made clear.

20 A Many times, yes.

21 Q And that you turn to the PSD applicability rules for
22 defining those terms; is that right?

23 A In the absence of any definitions in FLAG, yes, we do.
24 We turn to, I would say, new source review rules in
25 general.

1 Q Okay. And to be clear, when we are talking about PSD
2 applicability, that means the calculations and modeling
3 under federal rules for determining whether a source is
4 a major modification with significant increases in
5 emissions that would be subject to PSD permitting,
6 right?

7 A Yes.

8 Q In other words, you're just trying to figure out whether
9 they have to get a PSD permit, right?

10 A That's correct.

11 Q And it's after that, that the AQRV requirements in the
12 Clean Air Act that kick in, right?

13 A That's correct.

14 Q And here it was determined that the coker heater project
15 was subject to PSD permitting; that's this permit,
16 right?

17 A Yes.

18 Q And I think that you have testified that Mr. Gebhart
19 effectively is in agreement with the way the Park
20 Service did the modeling in this case, right?

21 A Yes, he endorsed it.

22 Q One of the problems you see with that is there is no
23 distinction like the one you make between affected and
24 modified sources being included in the modeling, right?

25 A It's okay if affected units are included in the modeling

1 if there's an increase in emissions, and so I don't have
2 a dispute about whether they should be included in the
3 deposition modeling, that was fine, but they should not
4 have included the affected units in the 24-hour
5 visibility modeling.

6 Q And you're saying that's because there is a distinction
7 in the definition between modified and affected for
8 visibility modeling?

9 A No, no, I'm saying it's because the visibility analyses,
10 we're directed to evaluate visibility analyses based on
11 24-hour emissions, not annual, so it's fine that they
12 include them for the annual emissions because there is
13 an increase in annual emissions from affected units.

14 Q Okay. So just to be clear, you've reviewed BP's
15 modeling and you've confirmed that they did not -- it's
16 not that they modeled no short-term emission increase
17 from affected units, it's that they didn't model them in
18 the first instance because BP determined they wouldn't
19 have an emissions increase; is that correct?

20 A You're going to have to break that one up for me. I
21 wasn't quite sure who "they" was.

22 Q Sure. Fair enough. I started with BP so if I say
23 "they," I'm talking about BP.

24 A I want to make sure.

25 Q That will keep me honest, all right. So I want to just

1 be clear on what actually happened, and I'm referring to
2 the short-term visibility modeling, okay. So am I
3 correct in understanding that BP did not even model the
4 affected units for short-term visibility effects?

5 A That's correct.

6 Q And they didn't even model those because they determined
7 before that, that BP did not believe that there were
8 going to be short-term emission increases from affected
9 units?

10 A That's correct.

11 Q And the way BP got there --

12 A Let me correct that. There are no increases in
13 emissions from the affected units that are greater than
14 they are today.

15 Q And the way that EPA got to that conclusion and,
16 therefore, omitted them from modelling is that BP took
17 the maximum day before the project, compared it to the
18 expected maximum day after the project for the affected
19 units, and determined that's not going to be any change;
20 right?

21 A That's correct, there is no increase in coker output so
22 there is no way that the coker project can affect
23 maximum short-term emissions that are required for
24 evaluation of visibility.

25 Q So let's talk about the days before the project, okay?

1 A Sure.

2 Q So you looked at the affected units and you said, okay,
3 so here is the maximum day for this unit, here is the
4 maximum day for that unit pre-project, right?

5 A BP did, yes.

6 Q BP, sorry, yes. And you agree with that as the first
7 step, right?

8 A Yes, what can the unit do today.

9 Q Okay. And you compared just that highest day with the
10 highest day expected afterwards; what can that unit do
11 after the project?

12 A That's correct, what's the difference.

13 Q So let's go back to before the project. There are a lot
14 of days those units are operating, right?

15 A Yes.

16 Q Some of those days the units might not be operating or
17 be operating at a reduced capacity or utilization
18 because of the downtime we've talked about of the coker
19 units, right?

20 A Well, yes, they would be -- they might be operating at a
21 lower rate, they're certainly still operating at a
22 higher rate, but not necessarily half, but, yes, they
23 are probably operating lower, or they could be.

24 Q And those what we are calling the affected units, they
25 don't have a uniform operation throughout, right?

- 1 A I wouldn't think so, no.
- 2 Q So it goes up and down on a day-to-day basis, right?
- 3 A Yes.
- 4 Q So after the project, I understand that BP's position is
5 the highest day, that highest one day is going to stay
6 the same after the project, right?
- 7 A That's right.
- 8 Q But the days that are just under that highest day,
9 they're still not going to be at a uniform level,
10 they're going to vary as well, right?
- 11 A That's right.
- 12 Q And so it is possible, isn't it, that you might have,
13 for example, more days that just come up to and touch
14 that maximum after the project?
- 15 A Yes, on an annual average, affected units will see an
16 increase in their operation.
- 17 Q I didn't ask on an annual average. I'm saying there
18 will be days where they come up closer to that maximum
19 than they did before.
- 20 A There will be an increase on some days, yes.
- 21 Q And there might be days where just overall it's bumped
22 up from what might have been medium; there might be more
23 days that were above medium level of utilization, right?
- 24 A Could be, yes.
- 25 Q But we didn't put any of that into the model because we

1 determined that the max day pre and the max day post
2 would be the same, right?

3 A That's correct.

4 Q Visibility is assessed daily, I think that was your
5 testimony, and you emphasize that that was important,
6 correct?

7 A It is, yes.

8 Q And that's because visibility has various components
9 that the federal land managers care about, right?

10 A Yes.

11 Q One of those is frequency; how often is the air in the
12 national parks obscured, right?

13 A Yes.

14 Q And some of that is intensity; how badly is it obscured,
15 because it's not a uniform level, right?

16 A Yes, and that's what we focused on in the analysis first
17 is we focused on the intensity, what change in
18 extinction is there.

19 Q Okay. And then there's duration; how long is that going
20 to last; is it a few hours, is it a week, right?

21 A That's correct.

22 Q And one of the things that the Park Service told BP is
23 that frequency component is important and the frequency,
24 according to the Park Service, is going to change, it's
25 going to worsen, right?

1 A Frequency of what?

2 Q Frequency that there is a visibility effect in the two
3 parks.

4 A That's what the Park Service said. With visibility, in
5 fact, the real question is whether there's a perceptible
6 effect. That's the key in our quality related values
7 analysis is the effect.

8 Q Let me interrupt you, if I could, because I would
9 absolutely love to ask you some questions about that.

10 So the Park Service uses a measure for determining
11 when visibility is impaired and that's that .5
12 deciviews, right?

13 A Yes.

14 Q And they use that because it has been stated that that's
15 what a human can perceive, that anything finer than that
16 is not perceptible, but .5 is perceptible, right?

17 A That's the threshold of perception that they identify,
18 yes.

19 Q That's right. So when the Park Service says there are
20 going to be more days -- when they reach the conclusion
21 there will be more days in Olympic National Park that
22 the visibility will be obscured, they're putting that
23 against that .5 deciviews, right?

24 A Yes.

25 Q So is it your understanding BP became aware of the Park

1 Service's modeling and the Park Service's concerns in
2 the summer of 2016?

3 A Yes. I honestly don't recall the month, but I think it
4 was soon after the June application was submitted.

5 Q And it was at that point in time that the disagreement
6 about including affected units in the modeling came to
7 light, correct?

8 A Yes.

9 Q But BP never changed the modeling to conform to what the
10 Park Service's interpretation would be of including the
11 affected units in the visibility modeling, right?

12 A That's correct.

13 Q Do you know if those affected units had been included in
14 BP's modeling, that it would have generated similar
15 results to what the Park Service got?

16 A I don't know. I don't believe BP ever did that
17 modeling.

18 Q So you disagree on the Park Service's reading and
19 application of its own FLAG guidance; is that your
20 testimony here today?

21 A I think the Park Service is free to do whatever analysis
22 they want. I don't think the analysis that they did
23 complied with FLAG guidance that's used in PSD
24 permitting.

25 Q So just to be clear, that statement means you disagree

1 with the Park Service's reading and application of its
2 own guidance; is that right?

3 A As they applied it right here, yes.

4 Q Do you think the Park Service was confused on how to
5 apply its own guidance?

6 A I believe that the Park Service was on a mission and
7 they wanted to present -- I think they were making a
8 case for additional emission controls at BP and that
9 they were providing a scientific analysis that supported
10 their position, not trying to duplicate the procedure
11 that applicants followed in PSD permitting.

12 Q To be fair, that could be said about BP, too, right;
13 they want to do the project, they don't want to put SCR
14 controls on.

15 A They want to do the project, certainly, and they found
16 that the SCR was not cost effective.

17 Q Right. Despite what the Park Service was discussing, BP
18 has very firmly said we don't want to do SCR, right?

19 A That's correct.

20 Q I would like you to refer to page 9, paragraph 26, of
21 your testimony, please. I just want to be sure that I
22 understand your testimony. A lack of physical change to
23 a unit is not conclusive of whether there will be a
24 change in emissions at that unit from the project,
25 right?

1 A That's correct.

2 Q And, in fact, I think at page 12 of your testimony,
3 lines 25 and 26, you do note that average daily
4 utilization and emissions may increase, including at
5 affected units, right?

6 A Yes.

7 Q And that those short-term emissions at affected units
8 could change in their frequency or their duration or
9 their intensity, right?

10 A Would you repeat that.

11 Q Sure. I will break it up. Maybe that's easier.

12 A Okay.

13 Q Short-term emissions at those affected units,
14 day-to-day, we were discussing earlier, could change in
15 their frequency, right?

16 A Daily emissions can change, yes, they will change.

17 Q In other words, from pre-project. Let me give you that
18 frame of reference.

19 A Daily emissions will change. There would be an increase
20 in utilization.

21 Q Okay. And those changes could be, and I think that they
22 might achieve a certain level of emissions more
23 frequently, for example?

24 A Yes.

25 Q Or the duration of a certain level of emissions might

1 change, correct?

2 A Yes.

3 Q Or the intensity, in other words, how high those
4 emissions go could change?

5 A Well, same thing; they could be higher on any given day.

6 Q Right, but they won't exceed that single daily max that
7 you looked at.

8 A That's correct.

9 Q I would like you to turn to Joint Exhibit 11, that's the
10 FLAG guidance that we've been spending lots of quality
11 time with, page 24 in particular, and I think that's JE
12 Bates number 1147. I think I have that memorized. And
13 I think that Ms. Cox had you read part of or most of a
14 paragraph on that page yesterday. Do you recall that
15 paragraph?

16 A I don't recall -- I think I read several.

17 Q Okay. Well, let me take a look at my copy and then I
18 can get you right there. So if you look on page JE1147,
19 look at the right-hand column, the paragraph in the
20 middle of the page that begins "Applicants," you
21 remember reading that yesterday, right?

22 A Yes.

23 Q There is actually a footnote attached to that, isn't
24 there?

25 A Yes.

1 Q And that footnote is Footnote 6, right?

2 A Yes.

3 Q And that includes a caution about modeling, right?

4 A Yes, it appears to.

5 Q And then I would ask you to turn to P-7. That's in the
6 exhibit book that is the NPCA exhibits, it's one of the
7 green ones. Let's go to the second page of that. I
8 think you discussed that with Ms. Cox yesterday as well,
9 right?

10 A I did.

11 Q And I think your testimony was you had not had occasion
12 in the past to look at the response to comments; is that
13 right?

14 A That's correct.

15 Q And I would ask you to refer to the paragraph at the
16 bottom of that page, and take some time to read that, I
17 don't need you to read it out loud, but just take a
18 moment to review that, please.

19 A Okay. I've read it.

20 Q Thank you. Would you agree with me that that is further
21 explanation or additional explanation for what the FLMS
22 are discussing in Footnote 6 of FLAG? And you can take
23 your time to compare those as necessary.

24 A Yes.

25 Q And I think on P-7, would you agree with me that the

1 federal land managers are noting that there can be
2 short-term emissions increases at units that are not
3 physically modified, right?

4 A I think so, yes.

5 Q And they're saying basically they want to know what
6 those are, right?

7 A What I take from this paragraph is that the applicants
8 should calculate the baseline as suggested by the Park
9 Service in their comments after the 2016 application was
10 submitted, that's what I derive, that's all I derive
11 from this.

12 Q Okay. Let's explore that. So the baseline would be
13 actual emissions before the project, right?

14 A Yes.

15 Q But BP here never looked at actual emissions as
16 described in P-7 for the affected units before the
17 project, never subtracted those actual emissions from
18 the expected emissions for the affected units post-
19 project, right; they never did that for the visibility
20 modeling?

21 A No, because there wouldn't an increase in emissions.

22 Q I'd like to turn to some of your testimony about
23 regional haze and the regional haze program. The PSD
24 requirements for AQRVs and the federal land managers'
25 role that we're discussing in this case is the PSD

1 section of the Clean Air Act, right, it's the PSD
2 requirements?

3 A Yes.

4 Q And the haze requirements and the federal land managers'
5 role in haze is an entirely separate section of the
6 Clean Air Act, right?

7 A Yes, that's correct.

8 Q That's got its own program and its own set of rules from
9 the PSD program and rules, right?

10 A Yes.

11 Q And there's nowhere in the Clean Air Act that suggests
12 one substitutes for the other, correct?

13 A Not that I know of, no.

14 Q And there's nowhere in the permitting rules that
15 suggests one substitutes for the others, correct?

16 A Correct, not that I know of.

17 Q So with that, let's turn just quickly to your testimony
18 about the Tesoro exhibit and the Tesoro example. And I
19 think you referenced this in your direct testimony.
20 Tesoro had already agreed to apply SCR, correct?

21 A Yes.

22 Q And, in fact, Tesoro had also, I think, noted in the
23 letter there were going to be significant emissions
24 reductions in VOCs, or volatile organic compounds,
25 correct?

1 A I believe that was correct.

2 Q And that's a pretty significant environmental benefit as
3 well, isn't it?

4 A Yes, it is.

5 Q And that would be different than the situation here,
6 right? In other words, Tesoro's agreement to apply SCR
7 is different from what BP's position on SCR is in this
8 case, right?

9 A On SCR, yes, that's correct.

10 Q And when you referenced the part of that letter about
11 regional haze and the haze program, just to be clear,
12 the statements in the letter about future review and
13 possible future actions by Tesoro pursuant to regional
14 haze is in addition to the application of the SCR and
15 the VOC reductions, right?

16 A I presume so.

17 Q Can you refer to page 13 of your testimony, please. On
18 both that page of your testimony and in some of your
19 direct testimony yesterday, I think you were talking
20 about the data that the Park Service used in its
21 modeling, right?

22 A Yes.

23 Q And I think yesterday you asserted that the National
24 Park Service used annual data for its visibility
25 modeling, right?

1 A Yes, I did.

2 Q But they did divide that by the hours, right?

3 A Yes, they did.

4 Q Are you aware of the fact that the Park Service sought
5 emissions information for its modeling from BP?

6 A I'm not aware. I am aware that they derived some of
7 their, I think most of their emission information for
8 their modeling from the June application. I'm not aware
9 of other requests.

10 Q BP never gave the hourly emissions data to the Park
11 Service, right?

12 A I don't know. Certainly the hourly data for the coker
13 heaters were available, that was in the application.

14 Q That was in the application?

15 A Yes.

16 Q Are you aware that the Park Service referenced Appendix
17 C of the application for its emissions increase input?

18 A Yes.

19 Q I just want to confirm in some places in your testimony,
20 and I apologize, I don't have specific paragraphs, so if
21 you don't recall, that's fine, but I believe you
22 referenced BACT in some of the same places where you're
23 talking about affected and modified units. BACT is a
24 separate consideration from Class I AQRV analysis,
25 right?

1 A Yes, determining what BACT is, is a separate issue, but
2 BACT determines what the emission are that are used in
3 the air quality related values, the visibility
4 assessment deposition.

5 Q When you looked at the Q/d analysis that was done by BP,
6 did you determine that the emissions used in the Q/d
7 analysis also did not include short-term emissions from
8 the affected units?

9 A Yes.

10 Q Could you turn to JE1197, and that's the FLAG guidance
11 again, and it's page 74 of the FLAG guidance, otherwise
12 known as JE1197. I'll try to get you the column in just
13 a moment. If you look at the left-hand column on that
14 page under 4.3, Contextual Considerations, do you see
15 that?

16 A Yes.

17 Q Do you agree with me that one of the contextual
18 considerations that the FLMs do that's listed there is
19 what the current situation might be with AQRV impacts in
20 a Class I area and what the trends are?

21 A Yes, I recall reading that in FLAG.

22 Q If you turn to page 15, paragraph 47, of your testimony,
23 please. I think this is where there's some discussion
24 of the lean oil absorption system. Are you there?

25 A I'm on page 15, yes.

1 Q Paragraph 47.

2 A Okay.

3 Q I just want to confirm your understanding that the lean
4 oil absorption system will treat 44 percent of the coker
5 off-gas, right?

6 A That's my understanding, yes.

7 Q But that's not required by the permit; that's voluntary
8 in the permit, right?

9 A Well, it's not required by the permit, but in reality --

10 Q I just want to ask you about the permit itself. So the
11 permit says that's voluntary, right?

12 A The permit doesn't mention it, doesn't say it's
13 voluntary, it doesn't prescribe that.

14 Q Okay. Let's take a minute and look at the permit. It
15 will take me a minute to find it, so just give me a
16 moment. My apologies. I think it's in the technical
17 support document for the permit. Do you recall a
18 statement that it's a voluntary component of the permit
19 in the technical support document?

20 A I don't, but I'll believe you.

21 Q That's okay. You don't have to. We're looking it up.
22 We'll come back to it.

23 I think during your direct testimony, you talked
24 about the fact that BP changed the baseline in their
25 November supplement modeling to conform to what was

1 recommended by the Park Service. Do you recall that?

2 A Yes, I do.

3 Q And I think you were referring particularly to the
4 deposition modeling, correct?

5 A I don't recall if I was referring to the deposition
6 modeling, but I know that the modeling for both
7 visibility and deposition were adjusted to account for
8 the different baseline that the Park Service
9 recommended.

10 Q Okay. And to be clear, that visibility modeling
11 included only the coker heaters, right?

12 A Yes, but the baseline still was changed.

13 Q Okay. But, in fact, BP's November modeling changed the
14 baseline but applied a scaling approach from the PSD
15 applicability rules, correct?

16 A I don't know about the scaling approach from -- yes,
17 they applied a scaling approach. I don't know that it
18 was from the PSD rules that you suggest.

19 Q Okay. But the scaling approach means that it wasn't
20 actual, right, wasn't just the actual emissions pre-
21 project then?

22 A I'm not sure I understand, because I think you were
23 talking about future.

24 Q My apologies. Yes. Yes. So they applied the scaling
25 approach to compare the actuals pre-project to the post-

1 project, correct?

2 A Well, it's a projected actual --

3 Q Right.

4 A -- and what they do, what we asked them to do, we, the
5 applicant, Kyle asked BP to identify what the effects of
6 the project would be compared with the baseline that the
7 National Park Service suggested or requested that they
8 use, what's the effect of the project.

9 Q I understand. But that is not the approach that was
10 used in the June application, correct, for determining
11 what the projected future emissions would be, right?

12 A That's correct. In the June application, it was based
13 on a baseline that's required by state law.

14 Q Okay. I think we're both getting mixed up, so I'm going
15 to break it down. So in the November supplement, BP
16 changed the baseline it used for pre-project emissions,
17 right --

18 A Yes.

19 Q -- to conform to what the National Park Service
20 recommended, right?

21 A Yes.

22 Q But for post-project emissions, BP also made a change,
23 and that's where it applied that scaling concept, right?

24 A Individually by unit. It increased the emissions from
25 each affected unit by an amount that it felt would be

1 the maximum the project could affect that emission unit.

2 Q But that's not what was done in the June application.

3 There was a different potential-to-emit calculation that
4 was done in the June application, correct?

5 A That's correct.

6 Q And that scaling approach was not the approach that was
7 recommended by the Park Service?

8 A I'm not sure I understand. Did the Park Service make a
9 recommendation?

10 Q I guess that's what I am saying.

11 A I don't recall that they made a recommendation on that
12 scale -- regarding a scaling approach.

13 Q That's what I was asking you, is that the recommendation
14 they made was for the pre-project baseline approach,
15 right?

16 A Yes.

17 Q I just have a few remaining questions and they're about
18 exhibits in the NPCA book, so let's turn to that,
19 please. First, a few preliminary questions. Would you
20 agree with me that the PSD applicability modeling rules,
21 in other words, the rules for how you do calculations to
22 determine whether PSD applies, do not apply and should
23 not be used in AQRV modeling?

24 A AQRV modeling does not provide definitions that enable
25 us to do our analyses, so in the absence of definitions

1 in FLAG, we do turn to any source we can get, and the
2 best parallel we can find is those definitions that we
3 use for new source review.

4 Q And, in fact, there was specific direction from EPA not
5 to use the PSD applicability rules when modeling for
6 AQRV assessment, right?

7 A You will have to point me to that.

8 Q Okay, I will. Are you aware of the fact that the Park
9 Service also informed BP that BP should not use the PSD
10 applicability rules?

11 A Sorry, that's my phone.

12 Q Do you want to take a minute. (Pause) So let's read
13 that question back.

14 (Question read back by the
15 Court Reporter.)

16 A The PSD applicability rules --

17 Q I'm not asking for an explanation of the rules. I want
18 to know if you were aware that the Park Service told BP
19 they should not use the PSD applicability rules in their
20 AQRV modeling.

21 A It was limited to -- they said we shouldn't use the same
22 baseline that we apply in PSD applicability, that's the
23 extent of it.

24 Q So that's your testimony that that's the specific thing
25 that the Park Service told BP about PSD applicability?

1 A That's my recollection, yes, that was the most
2 significant difference.

3 Q And are you aware of EPA's caution to BP in its comments
4 that the PSD applicability rules do not apply to AQRV
5 modeling and assessment?

6 A I don't recall it, but I recall that there were comments
7 from EPA, but I don't recall that one.

8 Q So I'd like you to turn to Exhibit P-110 in that NPCA
9 book.

10 A I'm there.

11 Q So this looks like a series of emails from 2017 and I
12 think you are on this series of emails, correct?

13 A Yes, I initiated that, I think.

14 Q Okay. So let's turn to that first email in the sequence
15 in October of 2016. Do you recall that that was about
16 the time that the Park Service supplied some written
17 comments to BP and Ecology about the Park Service
18 modeling and the disagreement with BP about AQRV
19 impacts?

20 A Based on the text of my email, yes, that clearly was.

21 Q And at that point in time, I think your email was
22 raising questions about this use of PSD applicability
23 rules and that you had previously been unaware of that
24 advice from EPA to not use them.

25 A Yes, certainly that's correct, that was a surprise.

1 Q Okay. And, in fact, that EPA preamble that's referenced
2 here is from December of 2002, right?

3 A That's correct.

4 Q That's when the PSD applicability rules had a major
5 change, right?

6 A Yes.

7 Q And the administration at that time had made some
8 changes that allowed certain things to occur in the
9 calculations, for example, taking advantage of
10 contemporaneous emissions or loosened up some of the
11 rules with respect to what baselines could be used, for
12 example?

13 A It changed the rules for what the baselines could be,
14 yes.

15 Q And I think there's a response from a Bliss Higgins, and
16 I believe that's someone at Ramboll, right?

17 A It is.

18 Q Is it correct that Ms. Higgins used to be the head of
19 Louisiana DEQ; is that right?

20 A She was.

21 Q And I think that her advice back was, yes, EPA has over
22 the last 15 years been consistent on that point that the
23 PSD applicability rules don't apply to AQRV analyses,
24 right?

25 A That's what she said.

1 Q And then I want you to turn to the first page, which is
2 an email with a number of people, and I think it's
3 actually from Kyle Heitkamp to Ms. Higgins, but you are
4 on that list, right?

5 A I was.

6 Q And there's some additional discussion there, right?

7 A Yes, there is.

8 Q And I think Mr. Heitkamp there is discussing the ways
9 that the emissions increase calculations for the AQRV
10 modeling analysis were using some of those PSD
11 applicability rules, right?

12 A Yes.

13 Q And it's correct, isn't it, that but for changing the
14 baseline in the November modeling as you've described
15 for the pre-project emissions, BP did not change any of
16 the other calculations that it did with respect to the
17 AQRV modeling?

18 A Oh, no, it did change. In the November application, it
19 changed both the baseline and, as I recall, it reduced
20 the proposed sulfur limit for the coker heaters a little
21 bit from 40 to 37 pounds an hour, and it also changed
22 the way it calculated the emission increases from the
23 affected units.

24 Q Right, it did that scaling approach, right?

25 A Yes.

1 Q That's an approach from the PSD applicability rules as
2 well, isn't it?

3 A You asked that before, and I don't understand what
4 you're saying when you ask that.

5 Q I'm saying that allowing that approach is something that
6 is allowed or utilized sometimes in the PSD
7 applicability applications, that's what I am asking you,
8 if that's correct?

9 A For modified units, you are allowed to project the
10 actual emission increases, so I'm not quite sure what
11 you are referring to because these are not modified
12 units.

13 Q So when you're making that projection, you can use that
14 scaling approach, is that what you're saying, instead of
15 potential to emit? It's different than the --

16 A Yes, that's correct, it's different from potential to
17 emit that applies to new and sometimes modified units.

18 Q That is what I was asking.

19 A Yes, that's right.

20 Q I think it's your testimony that you've been involved in
21 reviewing AQRV assessments during the course of your
22 career, correct?

23 A Yes.

24 Q You hadn't done the modeling yourself, but you had a lot
25 of experience reviewing them, right?

1 A Correct.

2 Q And you've got extensive experience in PSD permitting?

3 A I believe I do, yes.

4 MS. BRIMMER: I'd move admission of
5 Exhibit P-110, please.

6 MR. WISE: Any objections?

7 MS. COX: No, Your Honor.

8 MR. WISE: P-110 is admitted.

9 (P-110 admitted.)

10 Q (By Ms. Brimmer): I'd like you to turn to P-103,
11 please.

12 A I'm there now.

13 Q Now, in anticipation of some discussion on this, I know
14 that this email goes back a ways to a date before work
15 on this permit, but because you've been testifying some
16 about BART and how that may or may not, and haze, may or
17 may not apply to this project, I want to ask you just a
18 couple questions about this.

19 MS. COX: You Honor, we're going to
20 object to any questions about this email. It's from
21 2010 before the project was even in early stages of the
22 application preparation.

23 MR. WISE: Ms. Brimmer.

24 MS. BRIMMER: Yes, Your Honor. We
25 believe that this is relevant to, one, the testimony

1 about the interplay with respect to regional haze and
2 PSD permitting, and there's been testimony that these
3 issues about AQRV, as it affects the parks, are better
4 dealt with in the haze program, and so it does reference
5 BART, which is a concept in the haze program, and, more
6 importantly, it goes to credibility issues with respect
7 to this witness and BP more generally.

8 MR. WISE: I'm going to sustain the
9 objection. I just don't see the relevance here, I don't
10 see the connection to regional haze, and I mentioned
11 earlier that I was not inclined to admit these earlier
12 exhibits for the purpose of attacking BP's credibility,
13 so I'm going to sustain the objection.

14 MS. BRIMMER: Understood, Your Honor.
15 I would make an offer of proof. We need to make sure
16 that while this is not admitted into evidence, this
17 email is available in the record in the event of an
18 appeal, so I would make an offer of proof. We can
19 either leave the written exhibit in the exhibit books,
20 but understand it is not admitted into evidence and will
21 not be considered by the board, or I can read the email
22 into the record, whatever you prefer.

23 MR. WISE: I believe our procedure is
24 on not admitted exhibits, we leave them in the notebooks
25 so they would go up on appeal; it's just they're not

1 admitted into our consideration.

2 MS. BRIMMER: That's great. That's a
3 perfectly workable solution. Thank you.

4 Q (By Ms. Brimmer): Turn to P-99, please. Are you there?

5 A Yes.

6 Q This looks like an email from 2016 from you to
7 Mr. Heitkamp, correct?

8 A And others, that's correct. Yes, to Kyle.

9 Q And do you recall this email?

10 A Barely, but yes. I recognize it.

11 Q Okay. If you want to take a minute to review it and
12 then I will ask you a few questions.

13 A Yes. This was the big gulp moment when we received the
14 information that the 2002 preamble baseline calculation
15 should be applied.

16 Q I just wanted to confirm a few points here. You note
17 there's some concern, in this middle paragraph, about
18 how this might affect the review process on the project,
19 right?

20 A Yes. We had done the application based on state law and
21 this was a wrinkle in it because they revealed a
22 preamble citation that said we should have done it
23 differently.

24 Q And were there concerns about what that revised modeling
25 might show?

1 A Yes. It was going to reduce the baseline and,
2 therefore, suggested that there were higher impacts for
3 the project.

4 Q And then in the last paragraph, you said because we
5 don't calculate the short-term emission increases based
6 on annual baseline values, you don't think it has a
7 bearing on your visibility assessment, which was the
8 primary concern raised by the National Park Service. Do
9 you see that?

10 A Yes, I do.

11 Q Am I reading that correctly, it's just kind of a
12 confirmation of what we've been talking about quite a
13 bit here is that BP did not even model short-term
14 increases for visibility assessment for all the units?

15 A Only the coker heaters that had the increase in maximum
16 emissions.

17 Q And you do acknowledge that was in fact the primary
18 concern raised by the National Park Service, right?

19 A I don't recall -- You mean that the affected units were
20 not included?

21 Q Well, I'm just trying to confirm the statement in the
22 email, of that sentence in that last paragraph.

23 A I don't see where it says that.

24 MS. BRIMMER: Okay. I would move
25 admission of P-99, Your Honor.

1 MR. WISE: Any objections?

2 MS. COX: No objection.

3 MR. WISE: P-99 is admitted.

4 (P-99 admitted.)

5 MS. BRIMMER: I have nothing further,
6 Your Honor. Thank you. Thank you, Mr. Hansen.

7 MR. WISE: I think this is a good time
8 to go ahead and take our mid-morning break, so we'll
9 come back at 10:30.

10 (Recess from 10:10 a.m. to 10:30 a.m.)

11 MR. WISE: Ms. Cox.

12 MS. COX: Thank you, Your Honor.

13

14 REDIRECT EXAMINATION

15 BY MS. COX:

16 Q I'd like to clarify just a couple things that came up
17 during cross. In the June application, the analysis BP
18 followed was consistent with FLAG and the Washington
19 regulations, correct?

20 A I believe so.

21 Q And BP revised the November supplement in response to
22 National Park Service comments, correct?

23 MS. BRIMMER: Objection. This is
24 redirect. It's leading.

25 MR. WISE: I'll allow it.

1 Q (By Ms. Cox): I can rephrase. Did BP revise the
2 November supplement in response to National Park Service
3 comments?

4 A Yes.

5 Q Does Mr. Gebhart agree with the visibility calculations
6 for the new coker heaters in the November supplement
7 that BP submitted?

8 A His testimony, his written testimony, implies to me that
9 he did agree with it.

10 Q So the sole issue is whether BP calculated emissions
11 increases from the affected units using the equation
12 NPCA suggests.

13 A Yes.

14 Q And what is the equation that NPCA suggests using to
15 calculate emissions increases from affected units?

16 A That the affected units be evaluated based on their
17 potential emissions from the unit rather than what the
18 project is going to cost.

19 Q And what would happen if you applied that calculation to
20 a unit that is in no way affected by a project, so in no
21 way experiences emissions increases on a daily or annual
22 basis from a project, what would that equation show?

23 A It would distort the effect of the project for sure
24 because the application would normally say there is no
25 increase in emissions and you would be asked to apply

1 the potential emissions from that unit.

2 Q I would like to now turn to page 19, paragraph 51 of
3 your direct testimony.

4 A Page 19.

5 Q We've heard a lot today about how BP's calculations take
6 into effect the potential increases on various days, not
7 the peak maximum worst-case day increase, but whether
8 there are incremental increases on certain days on
9 downstream affected units as a result of the project and
10 how those are taken into account. Can you describe
11 Figure 1 and how FLAG directs you to calculate
12 visibility-related impacts.

13 A Figure 1 tells us to evaluate the newer modified source
14 by first doing the Q/d analysis, and if you pass, you
15 can presume no impact; if you fail, if Q/d is 10 or
16 greater, it's greater than 10, then you go to the more
17 detailed analysis, which was what was included in BP's
18 analysis. If the analysis shows that the impacts are
19 less than the visibility criterion, then you can again
20 presume no impact. If the analysis shows that the
21 impacts are greater than that 5 percent indicator, then
22 you go on to evaluate context, and context is where you
23 start talking about how many days does this occur,
24 what's the extent of the impact geographically, and what
25 are the other trends in the national parks. So those

1 contextual considerations occur after you fail the test,
2 not before.

3 Q And yesterday we read several passages in FLAG regarding
4 the visibility impacts analysis, and many of them talked
5 about the maximum 24-hour emissions from a project. Can
6 you describe the importance of the maximum 24-hour
7 emissions and the impacts on Class I areas?

8 A It's the maximum 24-hour emissions that cause the
9 impact. FLAG says over and over thou shall use maximum
10 24-hour emissions to calculate visibility impacts, and
11 the maximum 24-hour emissions attributable to the
12 project.

13 Q And would average daily emissions give you a similar
14 analysis as maximum daily emissions?

15 A It does not, no. That's why they specified maximum so
16 many times.

17 Q Would that adequately show the level of intensity and
18 effect of visibility emissions on a Class I area if you
19 looked at average daily emissions?

20 A Generally not.

21 Q And that's why you look maximum daily emissions?

22 A Yes.

23 Q Thank you. No further questions.

24 MR. WISE: Any other redirect? Board
25 questions? Ms. Marchioro.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXAMINATION

By MS. MARCHIORO:

Q One thing I wanted to ask you is about that Tesoro letter. Have you had a chance to review the letter that the -- it was Exhibit R-53 -- regarding the Tesoro plant in 2017?

A Yes. I read from that on the third page or the last page.

Q Well, had you seen the document before today?

A Yes, I have.

Q And have you read it before today?

A Yes.

Q Okay. I'm just trying to understand if you were looking at -- and maybe you can tell me -- is the modeling analysis that the National Park Service was doing for the Tesoro facility the same as the modeling analysis it did for BP?

A It's generally the same concept, yes.

Q Okay. And I'm trying to understand from your experience, is that the same modeling that the NPS has been applying to these types of projects, in your experience, over the last 15 or 20 years?

A Well, the Park Service hasn't done independent modeling that I am aware of on projects here in Washington over the last 15 or 20 years. This is the first time in my

1 experience that they have decided to conduct their own
2 modeling for the BP project and for Tesoro. There may
3 be other occasions, but I never saw it.

4 Q Okay. So in terms of if I was trying to come up with an
5 understanding of the Park Service's consistent view on
6 this particular issue, I have two potentially different
7 answers.

8 A Yes.

9 Q And I'm just curious, is it a timing issue that one came
10 in 2016 and one came in 2017? We haven't had an
11 election. Is it a change in administration that drove
12 that, do you know, from your experience?

13 A That the letter came?

14 Q That the --

15 A Oh, oh, so perhaps that the Department of Interior had a
16 change of heart?

17 Q Yeah.

18 A I couldn't say.

19 Q Thank you for that. And so in terms of the modeling, it
20 looks like the NPS used CALPUFF and some other different
21 modeling. I know that one. Are those models different
22 than the models that were run by Ramboll? Did they use
23 a different modeling software or just different inputs?

24 A No, just different inputs. No objections to the way
25 they ran the model.

1 Q Is that a standard industry model?

2 A It is.

3 Q And so we were talking about physical change, and on
4 R-30, page 18 --

5 A Sorry, I don't know which notebook.

6 Q It should say BP exhibits, and R-30 is Ecology's
7 guidance?

8 A Okay.

9 Q And at page 18, I'm just trying to understand, it talks
10 about an increase in utilization as a result of the
11 project.

12 A Sure.

13 Q So that's that first full paragraph under subsection B.
14 What does that mean to you?

15 A We can forget about the confusing language about
16 aggregation. That's not relevant here. It's affected
17 emission units. We define affected units as those that
18 will experience an emission increase as a result of the
19 project, so it's an increase in utilization, so if, for
20 example, the coker heater were able to put more product
21 out on a given day, those downstream units would feel an
22 increase -- they could process more and have higher
23 emissions, but the coker heater can't. However, because
24 of the elimination of the dips that we have been talking
25 about in that one line due to online cleaning, they can

1 process more material over the course of the year so
2 there is an increase in annual utilization.

3 Q I'm sorry, can you say that again. It was a little soft
4 for me. There is an increase or there is not?

5 A There is an increase in utilization of the affected
6 units over the course of the year, and that's why it's
7 included in the deposition analysis.

8 Q But then we get back to the issue of annual versus daily
9 max or visibility versus --

10 A Correct.

11 Q And so what would constitute a physical change, in your
12 opinion, of the unit?

13 A Changing the burner so that the unit can fire harder.
14 Sometimes as little as changing the plumbing that goes
15 into the unit so that it can process more fluids. There
16 are a number of things that can affect the firing rate.
17 As mentioned yesterday about physical change, it's
18 usually a plumbing or firing rate issue or something
19 like this.

20 Q And so in this instance, there may be more intensity of
21 use because there's no downtime --

22 A In this case.

23 Q -- in terms of the downstream units are going to be
24 being used, more off-gas, more --

25 A No. More product.

1 Q More product.

2 A Over the course of the year, but no more on a given day
3 than they can process today, than they receive today.

4 Q And then in your understanding, does Ecology run its own
5 separate modeling?

6 A They have very skilled dispersion modelers there who
7 review the modeling that applicants submit. Whether
8 they completely remodel it independently or not I think
9 depends on the situation, but they certainly review the
10 inputs and the assumptions that go into the modeling
11 every time.

12 Q Does that include the AQRV modeling?

13 A Yes.

14 Q Thank you.

15 MR. WISE: I had some questions, just
16 a couple here.

17

18 EXAMINATION

19 BY MR. WISE:

20 Q Back to the regional haze. I believe it was your
21 testimony that you thought that was a sort of a way of
22 addressing some of National Park Service's concerns?

23 A Yes, I do.

24 Q Okay. And there was that Tesoro letter that you read
25 from. Are you aware of any other letters like that at

1 other refineries?

2 A I'm not.

3 Q And I think you said that it wasn't in the -- there was
4 a set of rules that you said, that that regional haze as
5 a substitute, there is no law that you know of that
6 supports that concept of addressing AQRV impacts through
7 a regional haze program?

8 A Well, that's its purpose is to address the existing
9 problems through a regional approach, so, yes, that's
10 its purpose is to address visibility.

11 Q But are you aware of any specific place where it says --
12 where it supports the idea of substituting -- I don't
13 know, that question is not coming out right.

14 Are you aware of National Park Service, any
15 communications for them on the concept of the regional
16 haze in this project?

17 A On this particular project. I have to think for a
18 minute.

19 Q Sure.

20 A So the question is whether there is any communication
21 from the Park Service related to the regional haze rule
22 and this BP project?

23 Q Yes.

24 A I don't recall any.

25 Q Okay. Just one other question. Could you go back to

1 P-99. It's in the larger notebook.

2 A The green notebook?

3 Q Yeah, green notebook. It was a 2016 email from you.

4 A Yes.

5 Q And in the third paragraph there, I just was curious
6 about a parenthetical that's in that first sentence. It
7 says, "Our visibility assessment which is or was the
8 primary concern raised by NPS." Do you remember why you
9 put the parenthetical in there "Or was"?

10 A Let me think about that. I honestly don't. I don't
11 know why I put that.

12 Q Okay, you don't recall. That's all I have.

13 Ms. Brown.

14

15 EXAMINATION

16 BY MS. BROWN:

17 Q I think you said that there should be different
18 treatment for affected units versus new or modified
19 units.

20 A How we address them in the application?

21 Q Yes.

22 A Yes.

23 Q And why is that? I think I know the answer to this, but
24 I want to hear the answer.

25 A Well, we follow the rules. The permit applicants need

1 to follow the direction that's either in a FLAG
2 document, where available, or in other new source review
3 rules, so EPA, Ecology, they have rules, and we have to
4 be very careful about following the rules and they
5 specify different ways of calculating emissions for
6 modified or affected units.

7 Q And then on this regional haze rule, you might not be
8 the best person to ask this question of, but do you have
9 sort of a general idea of what tools are available to
10 regulatory agencies to implement things under the
11 regional haze rule?

12 A Well, yes. Alan Newman is probably the expert on that,
13 he'll be testifying later, but there is a state
14 implementation plan for dealing with visibility and it
15 addresses reductions in emissions from industrial
16 facilities, including BP. There were changes to BP
17 permits to reduce its emissions as part of this state
18 program, visibility program. There is significant
19 reliance on reductions in sulfur content in motor
20 vehicle fuels, that's one of the big ones. It tries to
21 touch on all the different sources of emissions in the
22 region, not just industrial facilities. But I would say
23 that the attempt -- the benefits from fuel improvements,
24 quality of fuel, lower sulfur, lower benzene reductions
25 that actually allow the use of catalytic controls,

1 that's really one of the major sources of visibility
2 improvement.

3 Q So under this program, can Ecology go back and require
4 emission reductions? I know in general for air quality
5 matters, that Ecology can't usually go back and require
6 emission reductions unless the facility is doing
7 something like modifying something or --

8 A No, I believe Ecology does have the authority to do
9 that. There is another update coming, and I'm not
10 certain, I think it's 2019, that the regional haze rule
11 requires states to revisit their program to ensure
12 continued progress. They talk about a glide slope
13 toward that ideal visibility scenario in 2064 and they
14 want to make sure that there's progress on that glide
15 slope and that it continues, and so I think Ecology
16 revisits the program in place and could very well
17 include additional restrictions on industrial
18 facilities. That's why the Department of Interior said
19 we'll be back and we'll talk about that in the next
20 update for Tesoro.

21 Q So BP could be asked to reduce under that regional haze
22 program?

23 A I believe so.

24 Q And then I understand that the Park Service is saying
25 that there are more days that visibility will be

1 obscured from BP?

2 A There are more days when there would be an effect from
3 BP. The distinction I make is that we're interested --
4 as practitioners, we want to identify whether or not
5 there is a perceptible change, and that's that 5 percent
6 change in extension, 5 percent change in visibility in a
7 Class I area. It's true there could be a change of 1
8 percent effect to 1.2, but we're interested in whether
9 or not it exceeds that criteria of 5 percent, and it
10 does not.

11 Q So the way the Park Service calculated it, though, they
12 concluded that it would?

13 A Yes, they did, because they used that annual emission
14 inventory.

15 Q Right. So they concluded it would be 5 percent or --

16 A They did find a couple of places or a couple, and I
17 think it was only in Olympic National Park, where it
18 barely exceeded 5 percent.

19 Q And then so on this AQRV modeling, I understand that
20 it's provided for in the law, but are there any rules
21 about how to do it or is all we have is the FLAG
22 guidance?

23 A All we have is FLAG guidance.

24 Q So there aren't any CFRs or anything that say how this
25 is to be done?

1 A The federal rules and the state rules require us to do
2 the analysis; it doesn't specify how. It doesn't
3 provide prescriptions on how to do it.

4 Q So the only guidance is in this FLAG document?

5 A FLAG and whatever we can derive from state law for new
6 source review programs.

7 Q So you're kind of using that by analogy?

8 A By necessity, yes.

9 Q All right. Thank you.

10 MS. MARCHIORO: I have another
11 question.

12

13 EXAMINATION

14 BY MS. MARCHIORO:

15 Q Ms. Brown was asking you about the NPS calculation, that
16 there would be an increase in visibility impairment, if
17 I understood that correctly, and your answer is that
18 they use the annual data to achieve that.

19 A That's how the National Park Service did their modeling.

20 Q What did they do in the Tesoro, from your understanding?

21 A I believe they applied the same approach.

22 Q And then did they reached the same conclusion?

23 A Yes.

24 Q Okay. Thank you.

25 MR. WISE: Okay. Any follow-up to

1 board questions. Ms. Brimmer.

2 MS. BRIMMER: Yes. Thank you.

3

4 FURTHER EXAMINATION

5 BY MS. BRIMMER:

6 Q Mr. Hansen, I'd like to start off with discussing some
7 of the questions from Judge Wise and I think a little
8 bit touches on some questions from Judge Brown as well,
9 and that's about regional haze, and I think you said
10 something about, in response to Judge Wise, I think he
11 was posing questions to you I think following up on some
12 of our discussion about you can't substitute one for the
13 other, in other words, there is nothing in the Clean Air
14 Act that says that the regional haze section of the
15 Clean Air Act is somehow a substitute for the PSD
16 obligations of the Clean Air Act. Do you recall that?

17 A Yes.

18 Q Okay. And I think in response to Judge Wise, I'm sorry,
19 I'm scribbling notes as fast as I can --

20 MR. WISE: And my question was totally
21 opaque, so --

22 MS. BRIMMER: No, no, we were
23 tracking.

24 Q (By Ms. Brimmer): You said something about that's its
25 purpose. Do you recall that?

1 A I need a little background.

2 Q That's what I captured, and I think you were talking
3 about the purpose of the regional haze provisions is to
4 address AQRVs; is that a fair characterization of what
5 you were maybe saying there?

6 A The regional haze rule is to address regional visibility
7 issues, yes.

8 Q Right. So let me get to the nugget of that. So let's
9 just be clear. There are the PSD provisions in the
10 Clean Air Act, those are at 42 U.S.C. Section 7475, and
11 that's what's going on in this case, right, the PSD
12 permitting requirements?

13 A I'm not sure I understand what you just cited.

14 Q Sure. Would you agree that 42 U.S.C. 7475 are the PSD
15 permitting requirements in the Clean Air Act?

16 A I have to admit that we focus on the CFR 52.21.

17 Q Okay. Would you agree the Clean Air Act is the
18 foundation for the CFRs?

19 A Yes.

20 Q So putting aside the specific cite, there is a specific
21 provision in the Clean Air Act that controls PSD
22 permitting, right?

23 A 52.21 tells us how to do PSD permitting.

24 Q I'm talking about the Clean Air Act.

25 A I believe you. Yes, of course.

1 Q You don't have to believe me. Do you --

2 A I have to say that my focus is on the CFR, not the Clean
3 Air Act itself.

4 MS. SHIREY: I am going to object
5 because these questions are going to legal conclusions.

6 MR. WISE: Would you like to rephrase.

7 MS. BRIMMER: I don't think I am
8 asking for a legal conclusion. Mr. Hansen has presented
9 himself as an expert with multiple decades of experience
10 on Clean Air Act permitting, including PSD permitting,
11 and he's testified on regional haze. I am not asking
12 him for a legal conclusion, I'm trying to get at his
13 understanding of these two programs and where they
14 arise.

15 MR. WISE: I will overrule the
16 objection. Go ahead.

17 MS. BRIMMER: Thank you.

18 Q (By Ms. Brimmer): So I am sorry, Mr. Hansen. Let's
19 start over.

20 In the Clean Air Act, there is a separate section
21 for PSD permitting; is that your understanding?

22 A That is my understanding.

23 Q And that's really what we're talking about here today.
24 It sets up the AQRV modeling requirements and it sets up
25 the federal land managers' involvement in that process,

1 right?

2 A Yes.

3 Q And it provides for an affirmative responsibility for
4 the federal land managers to ensure that those AQRVs are
5 protected, right?

6 A Yes, it does.

7 Q There is an entirely separate section of the Clean Air
8 Act, I won't throw out citations, and that concerns
9 regional haze, right?

10 A Yes, it does.

11 Q And that section, I think, as you talked about it just
12 now, it is more of a program kind of thing, it's a
13 regional approach to haze, right?

14 A Honestly, I am aware of the fact that there is a
15 regional haze rule, we were involved in the
16 implementation of the BART plan of that, I have reviewed
17 the state's implementation plan for the regional haze
18 rule, but I did not have any reason to trace it back to
19 the Clean Air Act.

20 Q Okay. So in your response to questions from Judges
21 Brown and Wise about haze, I think you said that BP had
22 been subjected to some controls as part of the regional
23 haze program; is that an accurate characterization?

24 A Yes.

25 Q And I think you used the word BART, and that stands for

1 best available retrofit technology, right?

2 A Yes.

3 Q And that's a one-time application under the regional
4 haze rules, right?

5 A I believe that's correct.

6 Q And the continuing obligations under the haze rule go
7 primarily to the State of Washington, right?

8 A That's my understanding.

9 Q And the State of Washington has a continuing obligation
10 to plan and strategize how to clean up the air in the
11 Class I areas, right?

12 A Yes.

13 Q But there's nothing in those provisions, is there, about
14 imposing additional requirements on a source like BP
15 outside of PSD permitting, right?

16 A My understanding is that Ecology has the discretion to
17 develop a program that most effectively addresses the
18 visibility problem, so if there were no issues with
19 respect to industrial sources, there wouldn't be any
20 need for any further action there.

21 Q I don't think that was my question. Even if Ecology in
22 its strategy thought that perhaps major sources were
23 still causing a problem, the only way it can get at that
24 is through PSD permitting; it can't knock on BP's door
25 and say, "Oh, by the way, we're going to impose more

1 stringent BART controls on you because of the regional
2 haze strategy," right?

3 A My understanding is that Ecology could do that and
4 that's why the Department of Interior said we'll be back
5 at the Tesoro facility and suggested that they would
6 revisit the issue then.

7 Q Where in the law does that understandings come from?

8 A I don't know the law.

9 Q Okay. Just a very quick question to follow up on Judge
10 Marchioro's question. She had you reference R-30, page
11 18. Is that still in front of you?

12 A I should know by now, but which binder is that?

13 Q That's in the BP exhibit binder.

14 A Okay.

15 Q So I think you were talking about some of the
16 requirements on page 18 with Judge Marchioro, correct?

17 A Yes, we were.

18 Q I want you to turn back to page 5, please. Are you
19 there?

20 A Yes.

21 Q And I want to be clear, the provisions that you were
22 discussing with Judge Marchioro fall under that PSD
23 applicability heading, correct?

24 A That's correct.

25 Q Thank you. I have nothing further.

1 MR. WISE: Ms. Shirey, any follow-up?

2 MS. SHIREY: No.

3 MR. WISE: Ms. Cox.

4 MS. COX: I have one.

5

6 FURTHER EXAMINATION

7 BY MS. COX:

8 Q I would just like to clarify or give you a chance to
9 clarify your response to a question from Judge Marchioro
10 about the Tesoro example. In that situation, the
11 National Park Service determined that the project would
12 have an adverse impact on visibility from the project or
13 the facility as a whole?

14 A I would want to refer to that letter again before I
15 answer.

16 Q Sure. It's R-53.

17 A I believe the response referred to the project, but I
18 want to make sure.

19 Q And you can look again on page 5, the second-to-the-last
20 paragraph, if that helps.

21 A Yes. It said, "The visibility comments provided here do
22 not apply to the currently proposed modification." They
23 were referring to the impacts from the refinery as a
24 whole.

25 Q No further questions.

1 MR. WISE: Thank you, Mr. Hansen. You
2 may be excused. So is that the extent of BP's
3 witnesses?

4 MS. COX: Yes, Your Honor.

5 MR. WISE: And then, Ms. Shirey, are
6 you ready with your witnesses?

7 MS. SHIREY: Yes.

8 MR. WISE: Please call your first
9 witness.

10 MS. SHIREY: I call Alan Newman.

11

12 ALAN NEWMAN, having been first duly sworn
13 by the Certified Court
14 Reporter, testified as follows:

15

16 DIRECT EXAMINATION

17 BY MS. Shirey:

18 Q Could you, Mr. Newman, state your name and spell your
19 last name for the record.

20 A My name is Alan Newman, A-L-A-N, last name N-E-W-M-A-N.

21 Q And where are you working right now?

22 A I'm employed by the Department of Ecology.

23 Q And what is your job?

24 A My job is the senior quality engineer for the program.
25 I do policy work and rule development currently. My

1 history with the program has been various tasks all the
2 way from being a field inspector and permit writer to
3 writing PSD permits and writing regulations.

4 Q When you say the program, what program?

5 A Program being the Department of Ecology's air quality
6 program.

7 Q And how long have you been part of that program?

8 A In two separate employment periods, just about 32 years.

9 Q Could you turn to Exhibit R-2, Ecology's R-2.

10 A Yes.

11 Q Do you recognize this document?

12 A Yes. This is my work history that I've prepared for
13 this and other actions.

14 Q I just want to hit some of the highlights here. It
15 talks about your education. Could you describe your
16 education.

17 A I have a bachelor's degree in civil engineering from the
18 University of Washington. I have an associate degree
19 from Olympic College before that. I've been registered
20 since 1983 as a professional engineer in Washington, and
21 I've maintained that registration continuously.

22 Q When did you first start working with the Department of
23 Ecology?

24 A I started working at the Department of Ecology in
25 September of 1975 as an EPA employee. I started working

1 for the Department of Ecology in October of 1976 as an
2 Ecology employee.

3 Q And have you done air quality work the entire time?

4 A Almost the entire time. For the period from about 1980
5 until 1992, I also did water quality permitting, solid
6 waste inspection and permitting and did wastewater
7 construction grants engineering work for the department.

8 MS. SHIREY: I would ask the board to
9 admit Ecology Exhibit 2.

10 MR. WISE: Any objections?

11 MS. BENNETT: No, Your Honor.

12 MR. WISE: Ecology Exhibit 2 is
13 admitted.

14 (R-ECY-2 admitted.)

15 Q (By Ms. Shirey): So in your job as an air quality
16 engineer at Ecology, did you have a formal role in
17 permitting the BP coker heater project?

18 A I did not have a formal role in the permitting of this
19 facility.

20 Q Were aware of the coker heater project?

21 A I was aware of the coker heater project and the
22 permitting actions. The staff working on it sit
23 adjacent to me, and given the nature of our office, it's
24 difficult to be totally shielded from such work.

25 Q So from time to time, did you answer questions related

1 to this?

2 A Yes, I did.

3 Q So your knowledge of this project is somewhat limited?

4 A Yes. I would say it's an incomplete knowledge.

5 Q So I want to turn to the regional haze program that we
6 have heard a little bit about already this morning.

7 What is your role in the regional haze program?

8 A Currently, I'm working on developing a list of
9 facilities that will be reviewed for four factor
10 analysis and for maintenance establishing reasonable
11 progress goals for the 2021 SIP submittal.

12 Q That's great. I was actually wanting a more --

13 A I have been involved doing with the regional haze
14 program specifically, including from before, from about
15 1995, again, working on regional haze issues related to
16 the Centralia Power Plant's RACT analysis and
17 coordinating that with regional haze requirements for
18 the BART program at that time.

19 I was involved with working on updates to the
20 state regional haze -- at that point it wasn't regional
21 haze -- but our visibility SIP for '97 and '99.

22 Q So would you say that you are the lead engineer at
23 Ecology for regional haze?

24 A Yes. I'm probably the only engineer who works on
25 regional haze.

1 Q Thank you. So could you give just a general quick
2 description of what the regional haze program is.

3 A The regional haze program is an outgrowth of the federal
4 Clean Air Act, and it requires states to develop plans
5 to bring the visibility impairment -- it requires the
6 states to develop planning documents, and by rule, in
7 the 1999 regional haze rule, on ten-year increments,
8 those plans are to be developed and updated to bring all
9 of the mandatory federal Class I areas in the United
10 States to a level where there is no anthropogenic impact
11 on visibility.

12 Q By when?

13 A And the law does not contain a date. The rule that EPA
14 issued contains the date of 2064 as the date upon which
15 to achieve that goal. The regulations, however, allow
16 states to not have to meet that goal if they can
17 demonstrate to the satisfaction of EPA the rationale to
18 not be able to meet it.

19 Q But, in general, the goal is to meet the standard of no
20 anthropogenic impacts on visibility at Class I areas by
21 2064?

22 A Correct.

23 Q Are states required to develop plans to meet that goal?

24 A States are required to develop plans on a ten-year
25 cycle. The first one was actually due nationally in

1 2007. Due to various delays from the regional planning
2 organizations that assisted the states in doing that
3 work, most of them weren't submitted until 2008 or '9
4 or, in Washington's case, '10. The next regional haze
5 plan is actually due by rule in July of 2021. The
6 following one is July of 2028 and on a ten-year cycle
7 from there.

8 Q So I believe you said that Washington did provide a
9 plan?

10 A Yes, we submitted a plan; it's dated 2010. It may have
11 actually been submitted to EPA in early 2011.

12 Q So what is the next step after providing that plan?

13 A The next step after providing the plan is for states to
14 do a five-year review after the plan is submitted on
15 progress towards attaining, in this case, it was our
16 2018 reasonable progress goals.

17 Q Could you turn to Ecology Exhibit 8.

18 A Okay.

19 Q Do you recognize this document?

20 A More than I'd like to.

21 Q What is this document?

22 A This is Washington's 5-Year Regional Haze Progress
23 Report.

24 Q And what's the date on it?

25 A It's September of 2017.

1 Q Did you write this report?

2 A I wrote essentially every word of it.

3 Q So what does it show about visibility in Class I areas
4 in Washington?

5 A What it shows in general is that visibility in Class I
6 areas in Washington State is improving and has improved
7 at least as much as required to meet our reasonable
8 progress goal for 2018, and this was as of the end of
9 2014, which is the end of the analysis period, and that
10 in most cases in Class I areas, we exceeded the uniform
11 glide path rate of control.

12 Q Could you turn to page Roman Numeral IV, I-V. That's
13 the Executive Summary.

14 A Yes.

15 Q And could you read the last sentence on the page, last
16 couple sentences.

17 A The last -- the whole paragraph or the partial
18 paragraph?

19 Q I am sorry, the partial paragraph.

20 A "Washington continues to reduce air pollution that
21 produces regional haze. Because of this, visibility is
22 improving in these areas. Overall, the Class I area
23 visibility record shows improvement since the 2000-2004
24 baseline period. Levels measured in the 2010-2014
25 period met or exceeded the 2018 visibility goals."

1 Q Thank you. And then I believe does this document show
2 how the -- or show that, I guess, that the state is
3 meeting its goals?

4 A Through various graphs that have been developed based on
5 the monitoring data.

6 Q Could you turn to page 22 of this document.

7 A Okay.

8 Q And I want to focus your attention on Table 3.

9 A Okay.

10 Q What does Table 3 show?

11 A Table 3 is a compilation of the Washington State
12 emission inventory. The Washington inventory
13 specifically is the columns headed 2005 and 2011.

14 Q There are two columns headed WRAP, W-R-A-P. What is
15 that?

16 A WRAP was the Western Regional Air Partnership. It was
17 the regional group that did develop emission inventories
18 and did the bulk of the dispersion modeling for
19 visibility impacts in all Class I areas in the 13
20 western states involved in the program. The two dates
21 associated under there, the 2002d inventory, that is a
22 specific inventory that was used to determine the
23 baseline conditions for the modeling purposes. And that
24 was developed for all states based on information. That
25 was what was used, like I said, that was the baseline

1 modeling.

2 Q So the baseline modeling --

3 A Baseline modeling for what is the visibility, modeled
4 visibility impairment, in the baseline period of 2000-
5 2004. So this was using direct decisions and directives
6 from EPA.

7 Q And where was this impairment?

8 A Okay, this is just inventory.

9 Q Oh, this is inventory, this is emission inventory.

10 A The table is inventory.

11 Q Thank you. So what does this show for nitrogen oxide?

12 A What it shows is that stationary source emissions have
13 gone down, area source emissions have gone down and gone
14 down significantly, mobile source emissions have gone
15 down, but they've also gone up as we have more cars.
16 Locomotive emissions have gone down, marine vessel
17 emissions, they have all gone downward.

18 Q So total, I think on the top of 23.

19 A Top of page 23, it shows that for 2011, the emissions
20 for 273,791 tons of nitrogen oxide emissions.

21 Comparatively, the inventory for 2005 was 303,964 tons,
22 and the WRAP inventory was even higher at 378,384 tons.

23 Q So what is the WRAP 2018 number, which is the right-hand
24 column there?

25 A The WRAP 2018 number was a projection of emissions that

1 the WRAP modeling group and the emission inventory group
2 developed, principally the emission inventory group
3 developed, in order to predict what the emissions would
4 be in the future from all of these sources in these
5 categories, including the effects of the emission
6 reduction programs, BART requirements, federal rules,
7 and the growth and utilization, the growth of population
8 as they affect emissions. These are the emissions that
9 were used for projecting modeling emission conditions in
10 2018, which were used in part to define the reasonable
11 progress goals for each Class I area.

12 Q Would you turn to page 27 in this document, Table 4. So
13 what does Table 4 show?

14 A Table 4 is a table of the monitored values of the Class
15 I areas and the depiction of what the reasonable
16 progress goal was and the uniform rate of progress
17 target. So the column titled 2000-2004 Baseline, that's
18 what the ambient monitors at the Class I areas that are
19 used to determine visibility impairment in the field,
20 this is what their deciduous impacts were at that time.
21 The column 2010-2014 Visibility, it's the
22 next-to-the-last column on the right, that's what the
23 actual calculated visibility impairment for the
24 five-year averages of the worst days, that's this whole
25 table is the worst days, that's the calculated numbers

1 of what was actually measured for that period. And the
2 middle two columns with the goal and the uniform rate of
3 progress are just that.

4 Q So the baseline, for example, for Olympic National Park
5 was 16.74?

6 A Yes.

7 Q And the 2010 to 2014 was 13.82?

8 A Yes.

9 Q And on the far right column is the column that says are
10 you meeting the 2018 reasonable progress goals.

11 A Yes.

12 Q And what are the answers there?

13 A And the answer there is yes.

14 Q For all of the --

15 A For all of the national -- all of the federal mandatory
16 Class I areas.

17 MS. SHIREY: I would ask the board to
18 admit Ecology Exhibit 8 into evidence.

19 MR. WISE: Any objections?

20 MS. COX: No.

21 MS. BENNETT: No, Your Honor.

22 MR. WISE: Ecology Exhibit Number 8 is
23 admitted.

24 (R-ECY-8 admitted.)

25 Q (By Ms. Shirey): So as you have heard, the National

1 Park Service has expressed concerns about adverse
2 impacts from BP's project, well, from BP on national
3 parks, and are you familiar with that or should I point
4 you to an exhibit?

5 A No, I'm familiar with that.

6 Q And that the National Park Service actually provided an
7 adverse impact determination?

8 A Yes.

9 Q So what does that mean in the regional haze program when
10 you get an adverse determination, adverse impact
11 determination?

12 A If I considered it the same as an adverse impact
13 determination under 51.302, that means the Washington
14 State Department of Ecology has to evaluate that
15 facility for a SIP update and potential emission
16 reduction requirements. By the rule, that SIP update
17 for this timing is allowed to occur as part of the 2021
18 regional haze plan.

19 Q Do you have any tools to ensure that you meet the goals?

20 A I have the ability -- under the federal Clean Air Act, I
21 have the four factor analysis process, which is used to
22 develop reasonable progress goals for visibility
23 impairment. At the state level, I have the reasonably
24 available control technology process that I can utilize
25 to require emission reduction at a source if I can

1 define that it meets the criteria to follow that
2 program.

3 Q Thank you. I want to turn now to AQRV analysis. So in
4 your work at Ecology, have you ever reviewed an AQRV
5 analysis?

6 A Yes.

7 Q When, in what context?

8 A I have reviewed it personally for three permits that
9 I've worked on and I have reviewed it in conjunction
10 with the engineers writing permits that I have overseen
11 as their supervisor.

12 Q And these are PSD permits?

13 A These are PSD permits.

14 Q Any idea how many times you've done that over the years?

15 A Like I said, three times at least for permits that I
16 personally issued, plus every permit that we have issued
17 from the agency since 1993 through until about -- until
18 Marc Crooks took over the function about five years ago.

19 Q Are you familiar with the Q/d screening analysis in the
20 FLAG guidance?

21 A Yes.

22 Q What is a Q/d analysis?

23 A It's a screening tool used to -- used by regulators to
24 determine whether a source has significant enough
25 impacts to make it worth the trouble to spend the time

1 to look at it in more detail.

2 Q So could you turn to Joint Exhibit 11, and it's in one
3 of those two green ones, probably the bigger one.

4 A Okay. I'm there.

5 Q So turn to page 18 in this document.

6 A Okay.

7 Q So in Section 3.2, Initial Screening Criteria, are you
8 there?

9 A Yep.

10 Q And the right-hand column talks about inputs to Q/d
11 analysis. It also talks about how EPA introduced
12 screening criteria in the BART guidelines. Do you see
13 that on the left side on the bottom?

14 A Yes, I do.

15 Q And can you describe that a little bit. Are you
16 familiar with that?

17 A Yeah. And I wasn't reviewing the documents when EPA
18 developed this, but, yes, I'm familiar with its
19 utilization as a screening tool to determine whether
20 their source is worth having -- whether it will have an
21 impact that could be subject to BART.

22 Q So did you use it in your BART analyses?

23 A I actually did not use it.

24 Q And why was that?

25 A Because my work was focusing on the other criteria that

1 had to be utilized and all of our sources, even if I had
2 used it, they would have failed the test --

3 Q Okay.

4 A -- the ones that were subject, ended up being subject to
5 BART.

6 Q So have you used the Q/d test yourself or --

7 A I have evaluated Q/d as part of the process of figuring
8 out who the agency will look at for reasonable progress
9 goals for the '21 SIP.

10 Q Have you looked at Q/d in a PSD context?

11 A Historically, yes, as has been applied by the Park
12 Service and the Forest Service, to determine whether the
13 source is a large enough source that they wish to expend
14 any resources to review.

15 Q So can you look at the right-hand column there on page
16 18 and just tell me what it says about what the inputs
17 to a Q/d analysis are.

18 A In general, the inputs are the emissions of nitrogen
19 oxide, sulfur dioxide, they extended it to PM10 and
20 sulfuric acid mist. That's the Q. This doesn't
21 actually talk about how Q is calculated other than
22 what's included. And the "d" is the distance of the
23 source from the Class I area in kilometers. Q is in
24 tons.

25 Q And further down on that column, I think it does talk

1 about --

2 A Yeah, there at the bottom.

3 Q So the sentence that starts, "Therefore, the agencies,"
4 could you read that?

5 A Therefore, the Agencies will consider a source locating
6 greater than 50 kilometers from a Class I area to have
7 negligible impacts with respect to Class I AQRVs if its
8 total SO₂, NO_x, PM₁₀ and -- sorry, I'm going to back up
9 -- sulfuric acid mist annual emissions, in tons per
10 year, based on 24-hour maximum allowable emissions,
11 divided by the distance from the Class I area, in
12 kilometers, is 10 or less.

13 Q Therefore, the agency will consider a source to have
14 negligible --

15 A To have negligible impacts.

16 Q Okay. Thank you. In paragraph 22 of Mr. Gebhart's
17 prefiled testimony, he says Q/d is irrelevant for BP's
18 project because the two national parks, North Cascades
19 National Park and Olympic National Park, are already
20 impacted by emissions. Do you agree with that
21 assessment?

22 A No, I don't. I don't agree with that assessment because
23 the purpose of this is to evaluate impacts from a
24 project, from a new source or from a modification to an
25 existing source. It's not a criteria that you can

1 ignore or should ignore simply because a source already
2 has adverse impacts.

3 Q Would you turn to, and I have the JE page number, so on
4 the bottom of these, JE1121.

5 A Okay. That's the graphs.

6 Q Right. So Figure 1, what does Figure 1 show?

7 A Figure 1 is a flow chart of what the Park Service says
8 they will use to assess their level of involvement in a
9 new or modified source.

10 Q And what does it show about Q/d?

11 A It's a preliminary question and if Q/d is less than or
12 equal to 10, yes, then they have a presumption of no
13 adverse impact.

14 Q Is there anything in there to indicate that Q/d, there
15 is any limitation to when you would use Q/d?

16 A No, not that I've ever read in this document.

17 Q So nothing in this document that might indicate a limit
18 on when to use Q/d?

19 A Not that I can recall ever having read.

20 Q Okay. In your experience, have Q/d analyses been used
21 to screen out projects from other facilities that
22 already impact Class I areas?

23 A Yes.

24 Q So moving on from Q/d, for the visibility portion of the
25 AQRV analysis in this case, BP determined the net

1 emissions increases from the coker heater project by
2 looking only at short-term emission increases. Is that
3 the correct way to do it in your opinion?

4 A Yes.

5 Q And why is that?

6 A Because that's the only new emissions, the only new
7 allowable emissions that will come under this project.

8 Q And I neglected -- well, yeah, for the visibility
9 portion of the AQRV analysis?

10 A For visibility.

11 Q What is it about visibility that --

12 A Because it would be looking at the change in 24-hour
13 impacts for the input to this modeling to determine
14 whether or not it's a significant change.

15 Q So is there something about visibility that would point
16 you to looking at 24-hour emissions?

17 A Nothing specific, other than convention is you look for
18 -- for regional haze purposes, at least, visibility is
19 analyzed on a 24-hour emission impact basis, it's not
20 looked at on an hourly rate basis or an annual rate,
21 just -- I can keep going.

22 Q So the visibility looks at short-term emissions because
23 visibility itself --

24 A Short-term emissions would be under 24 hours duration.
25 Twenty-four-hour emissions are 24-hour emissions.

1 Long-term emissions would be longer than a 24-hour
2 period and going all the way up to annual emissions.

3 Q So why would you use 24-hour emissions when evaluating
4 visibility impacts?

5 A As a supposition, one answer is that that's the time
6 period upon which the ambient monitoring data that's
7 used to characterize visibility is collected. It's a
8 24-hour integrated sample and, therefore, it's difficult
9 to say what a one-hour rate would go and then give you
10 an answer there.

11 Q Would you look at annual emissions in order to evaluate
12 visibility impacts?

13 A No.

14 Q Why not?

15 A Because annual emissions, at best, would depict an
16 average condition, and average is not what we look at in
17 visibility.

18 Q So in BP's case, because they looked at just the
19 short-term emission increases, it means they only looked
20 at emission increases from the coker heaters because
21 those are the only emission units that will have
22 short-term emission increases that will be caused by the
23 project?

24 A That's my understanding.

25 Q And is that the correct way to do it?

1 A That's how I would do it. That's what I understand is
2 the correct way to do it.

3 Q So the project will cause annual increases in emissions
4 from some other emission units at the facility because
5 those other units will run more days, or will run more
6 on some days than they currently do. Should the
7 increased annual emissions from those other emission
8 units be included in the visibility impacts?

9 A No.

10 Q And why not?

11 A I have no evidence from my limited review that they
12 actually change the 24-hour emission rate from the
13 facility or from these units that run just more hours of
14 the day.

15 Q So in his testimony on Monday, Mr. Gebhart said that
16 under the FLAG guidance, a modified unit is the same as
17 an affected unit. Does that make sense to you?

18 A No, it doesn't, because a modified unit has to meet the
19 definitional criteria to be modified.

20 MS. BENNETT: Objection. That's a
21 mischaracterization of Mr. Gebhart's testimony. He
22 stated that that, one, FLAG does not provide a
23 description of an affected or modified unit, and he did
24 not say that they are the same, he said that there is no
25 description, and so that is not a correct statement that

1 you are masquerading as Mr. Gebhart's testimony.

2 MR. WISE: Ms. Shirey, any response?

3 MS. SHIREY: I can say that's what I
4 wrote in my notes and that's what I understood him to
5 say was that basically under FLAG, the two are treated
6 the same way.

7 MS. BENNETT: That's a different --

8 MR. WISE: Why don't you just ask
9 Mr. Newman his opinion on that.

10 Q (By Ms. Shirey): So what is your opinion on modified
11 units and affected units under FLAG, are they treated
12 the same or not?

13 A For visibility analysis, my personal opinion, they
14 should not be treated the same.

15 Q Thank you. So I want to turn to -- I think I want to go
16 now to the BACT analysis questions. In your career,
17 have you done BACT analyses for PSD permits?

18 A Yes.

19 Q Any idea how many?

20 A Like I said, I've done three personally and I have
21 overseen probably another 15, 18 over the years.

22 Q When you do a BACT analysis, do you review the cost
23 effectiveness analysis?

24 A Yes.

25 Q And when you're looking at a cost effectiveness

1 analysis, do you look at the costs to see if they look
2 reasonable?

3 A Yes.

4 Q Have you ever gone back to an applicant and questioned
5 the costs?

6 A Yes.

7 Q So you really are looking to see -- so you have found
8 costs on occasion that looked excessive to you?

9 A Yes.

10 Q And gone back to the applicant?

11 A Gone back to the applicant, challenged the applicant and
12 they've changed, or we changed it for them.

13 Q So in this case, Ecology rejected selective catalytic
14 reduction as BACT for the coker heaters in the BP
15 project as not cost effective.

16 A That's my understanding.

17 Q So in paragraph 34 of his prefiled testimony, Dr. Sahu
18 says Ecology should have looked harder at the costs
19 borne by other facilities that have installed selective
20 catalytic reduction to control emissions from coker
21 heaters. What does a permitting authority need to
22 consider when other facilities have installed a
23 particular emission control technology as BACT?

24 A If it's installed as BACT, then we have to look at what
25 did it cost them in a cost effectiveness, what did that

1 state decide this source could bear as a reasonable
2 cost, how that relates to other costs that have been
3 borne by other people installing the control, knowing
4 that the cost of installation of a particular emission
5 control will vary between types of sources and even
6 between emission units within a given source.

7 Q So you do look at costs at other facilities --

8 A Yes.

9 Q -- when an emissions control technology has been
10 required as BACT at another source.

11 A (Nods head affirmatively).

12 Q Might a facility employ a particular control technology
13 if not required to use it as BACT?

14 A Yes.

15 Q Why?

16 A In some cases, and I know very well, that people will
17 install a control simply to avoid the time and process
18 overhead of the PSD permitting process.

19 Q Any other reasons?

20 A Sometimes they will do it to avoid having to go through
21 non-attainment new source review.

22 Q Okay. And I imagine there are other reasons.

23 A Each company has a whole variety of reasons why they
24 might choose to do something that might not -- that
25 their competitor might think is not in my best business

1 interest for you to do that.

2 Q So in paragraph 41 of Dr. Sahu's prefiled testimony, he
3 says the use of selective catalytic reduction to avoid
4 PSD carries with it the presumption that SCR is cost
5 effective. Do you agree with that?

6 A No.

7 Q Why not?

8 A Why not? As I said, it carries forward the presumption
9 that the company involved decided that the cost of
10 installing SCR was less expensive and less trouble than
11 going through the permitting process that they would
12 otherwise have to go through. So just the overhead of
13 the PSD permitting process often causes people to put on
14 emission controls simply to avoid the delays of the
15 process.

16 Q So in paragraph 45 of his prefiled testimony, Dr. Sahu
17 states that avoiding BACT particularly is the major
18 reason sources try to avoid PSD. Do you agree with
19 that?

20 A No.

21 Q Why not?

22 A In my experience, people avoid PSD to avoid the process
23 and the time and cost of the PSD process itself, not
24 necessarily to avoid installing BACT. Under Washington
25 State law, they still have to install BACT because the

1 control that they would install as a non-PSD source,
2 modification or new source, still is required to meet
3 BACT, meeting the same definition as the federal one.

4 Q So I think what you're saying is that in Washington
5 State, minor sources that are not major for PSD still
6 have to use BACT, is that --

7 A That is correct.

8 Q And are there still sources in Washington that try to
9 avoid PSD?

10 A Yeah.

11 Q Okay. So in paragraph 47 of his prefiled testimony,
12 Dr. Sahu says BP must have found the use of SCR,
13 selective catalytic reduction, on the coker heaters at
14 its Whiting facility cost effective even though it's
15 required in the consent decree. Do you agree with that?

16 A I do not agree with that.

17 Q And why not?

18 A In the context of a consent decree with EPA, it's also
19 an enforcement action, and my experience with EPA in
20 enforcement actions and consent decrees is cost
21 effectiveness has nothing to do with what gets put into
22 it. It's more like what extortion can EPA get out of
23 the source to reduce emissions.

24 Q All right.

25 A Sorry. Sometimes I can be blunt.

1 Q In paragraph 48 of his prefiled testimony, Dr. Sahu says
2 you still need to look at costs at facilities that
3 installed SCR to meet LAER requirements, and what it
4 LAER?

5 A LAER is lowest achievable emission rate. It's required
6 of new emission units and modified emission units that
7 exist in non-attainment areas and applies to the
8 pollutant or pollutants for which there is
9 non-attainment.

10 Q So do you agree that in evaluating BACT and looking at
11 other sources, you need to look at costs at facilities
12 that install SCR as LAER?

13 A I have found, except for California, you can't find cost
14 effectiveness information for LAER installations.

15 Q So have you found cost effectiveness --

16 A Only in California, because they have it in their
17 clearing house as part of the information. In
18 California, LAER is called BACT and it's a creature of
19 California state law.

20 Q And now I'm confused.

21 A Okay, sorry. So it is possible to find information on
22 LAER cost effectiveness; however, it's not used in the
23 decision of a LAER emission limit or whether a control
24 is appropriately or to be installed under LAER.

25 Q So if I understand what's going on in California, they

1 use a standard in attainment areas that they call BACT,
2 but it really is LAER?

3 A Yes. They also use the same standard in their
4 non-attainment areas.

5 Q Right.

6 A And definitionally, it's identical to EPA's definition
7 of LAER.

8 Q And so when you're looking for LAER determinations in
9 California for facilities in non-attainment areas, would
10 you expect to find a cost effectiveness --

11 A I would expect to find a cost analysis. California air
12 districts do have cost effectiveness analysis and
13 information.

14 Q Okay, but not for other states?

15 A Not other states.

16 Q Okay. So what does a permitting authority need to
17 consider when other facilities have used an emission
18 control technology but for purposes other than BACT?

19 A Repeat that, please.

20 Q If you're looking at a particular technology and you're
21 considering whether to require it as BACT in a
22 particular permit application, and you want to look at
23 other facilities, but the other facilities that you are
24 looking at didn't require it as BACT, they may have used
25 SCR, but they didn't require it as BACT, what do you

1 need to look at at those facilities?

2 A Well, first off, their use of the control makes it an
3 available control so it meets the step 1 criteria of
4 being an available control under the BACT process. You
5 may make phone calls to the local authority to see if
6 there is information on costs that may have been
7 provided. My experience has found it's probably not
8 there. It does show up at -- certain agencies will have
9 it, it will have been provided by the company for some
10 reason.

11 Q Does EPA's 1990 BACT guidance provide anything on this?

12 A I believe so, but my memory is not exactly fresh on it.

13 Q Could you turn to Joint Exhibit 12.

14 A Okay. What page?

15 Q Page B.45.

16 A All right.

17 MS. SHIREY: And for the board, that
18 has a JE number if you would like, but if you're all
19 there --

20 MS. MARCHIORO: Please.

21 MS. SHIREY: JE001343.

22 Q (By Ms. Shirey): So I think starting the second line of
23 page B.45, could you read that first sentence.

24 A "This may occur, for example, where a control
25 alternative has not been required as (BACT or its

1 application as BACT has been extremely limited) and
2 there is a clear demarcation between recent BACT control
3 costs in that source category and the control costs for
4 sources in that source category which have been driven
5 by other constraining factors (e.g., need to meet a PSD
6 increment or NAAQS)."

7 Q And what is a NAAQS?

8 A National ambient air quality standard.

9 Q And are sources required to meet the national ambient
10 air quality standards?

11 A All sources or emissions have to meet the national
12 ambient -- cannot cause or contribute to an exceedance
13 of a national ambient air quality standard.

14 Q In the next paragraph, can you find the sentence that
15 begins "Specifically."

16 A Yes.

17 Q Could you read that?

18 A "Specifically, the applicant should document that the
19 cost to the applicant of the control alternative is
20 significantly beyond the range of recent costs normally
21 associated with BACT for the type of facility (or BACT
22 control costs in general) for the pollutant."

23 Q So what this is saying, I believe, is that if you're
24 looking at a technology that has not been required as
25 BACT or has rarely been required as BACT, in a similar

1 situation, you look at whether the cost of the
2 technology is beyond the range of recent costs normally
3 associated --

4 MS. BENNETT: Objection. Leading.
5 She can ask what his opinion is.

6 MS. SHIREY: I'm just trying to
7 summarize what he's just read.

8 MS. BENNETT: You can summarize what
9 his opinion is of what he just read, but not what he
10 just read; summarize his understanding.

11 MR. WISE: Ms. Shirey, just think
12 about your questions and try to avoid leading if you
13 can.

14 MS. SHIREY: Okay. I was just trying
15 to kind of condense down those two pieces.

16 Q (By Ms. Shirey): So what is your understanding of what
17 this guidance says about what to look at if a technology
18 has not been used as BACT or has rarely been required as
19 BACT?

20 A It allows you to be a little more thoughtful in whether
21 or not this is an appropriate control technology. You
22 might want to do a little additional analysis than you
23 would otherwise do on a commonly utilized control.

24 Q Specifically, what are you supposed to look for in
25 costs, in the question of cost?

1 A Compare what costs that other people have borne, other
2 sources have borne in installing either this control
3 that you're looking at or controls in general.

4 Q So you're looking at controls that have been used
5 associated with BACT?

6 A Yeah, BACT controls, it could have been RACT analysis.
7 They do exist. If you have information on a LAER
8 installation, it could have been the cost that other
9 sources incurred there.

10 Q So I believe it does say something about looking at the
11 range of recent costs. Do you see that?

12 A Yes.

13 Q Normally associated with BACT?

14 A That's correct.

15 Q So do you know what the range of recent costs normally
16 associated with BACT for nitrogen oxides is at Ecology?

17 A I know how it's migrated over the years. Today's value,
18 I'd have to ask Mr. Crooks what we quote out.

19 Q I wonder if you could look at Ecology's Exhibit 9.

20 A Okay.

21 Q So do you recognize this document?

22 A I recognize this document.

23 Q Can you describe it?

24 A It's a compilation of recent NOx determinations done in
25 Washington State. Principally, most of these have to do

1 with reciprocating engine installations.

2 Q So are these recent BACT determinations in Washington
3 for NOx?

4 A These all date between 2011 and 2017.

5 Q Do you know who all helped prepare this document?

6 A I believe Mr. Huitsing compiled this page.

7 Q Okay. Do you know if he got help from anybody else at
8 Ecology?

9 A No, I don't.

10 Q Okay. So what does page 1 show? You just were
11 discussing it.

12 A Page 1 shows seven different facilities with
13 technologies and the type of source -- a little
14 information about what the type of source that was being
15 looked at and the cost-per-ton analysis that came out of
16 those, and whether or not that was accepted or rejected
17 as BACT.

18 Q Do you know if this document shows all of the NOx BACT
19 determinations for PSD projects in the past five years?

20 A I believe this is all of them that I am aware of in the
21 last five years.

22 Q And then does it also show some other non-PSD sources?

23 A I believe the data centers are all non-PSD.

24 Q Okay. So what does the document show about costs that
25 have been rejected for BACT for nitrogen oxides?

1 A That we have been rejecting costs that were as low as
2 \$11,600 as not cost effective for NOx.

3 Q And what does it show about costs that have been
4 accepted?

5 A It shows we have no -- it doesn't have any information
6 about costs that have been accepted. The table, the
7 technologies all indicate these were the base
8 capabilities of the emitting unit that was subject to
9 permit.

10 Q So you may have already started answering my next
11 question is why don't the technologies that were
12 accepted have cost analyses associated with them?

13 A Because these were all what was proposed to be installed
14 to meet standards, at the very least, meet NAAQS and
15 Washington State Toxic Air Pollutant Standards.

16 Q So they were not required to do a cost analysis?

17 A No, no.

18 Q In paragraph 56 of his prefiled testimony, Dr. Sahu
19 claims that EPA has considered \$10,000 per ton to be
20 acceptable cost for BACT since at least 2001. Does that
21 mean that costs for BACT in Washington should have been
22 \$10,000 per ton since 2001?

23 A No, it doesn't, and there's context around that \$10,000
24 value that's important to consider.

25 Q Tell me.

1 A The context is that number comes from a document of what
2 EPA thought would be recommendation to states as they
3 were reviewing PSD applications for facilities having --
4 oil refineries having to upgrade their facilities to
5 meet tier 2 gasoline standards or further higher levels
6 of gasoline sulfur-removal requirements.

7 Q And why is that important?

8 A It's important because it was EPA looking at it from a
9 national scope, from their office in North Carolina, and
10 it doesn't consider anything with local costs or local
11 effects on sources.

12 Q So do states have different BACT thresholds than EPA?

13 A Yes. Local agencies can have different thresholds than
14 the state's.

15 Q Could you turn to Ecology Exhibit 23?

16 A Okay.

17 Q Do you recognize this document?

18 A Yes, I do.

19 Q Can you just briefly say what it is.

20 A It's a letter that was written by EPA Region 8 to
21 Mr. O'Clare of North Dakota related to some costs
22 effectiveness analyses done by the state at the Milton
23 Young Power Plant.

24 Q Could you turn to page 5 and 6.

25 A Starts on page 4.

1 Q Okay. So on the bottom of page 4, I believe it talks
2 about -- what does that last bullet say?

3 A The last bullet is the reference to the EPA guidance
4 that I mentioned earlier, the 2001 guidance on the low
5 sulfur gasoline regulation.

6 Q That used the \$10,000-per-ton cost effectiveness
7 threshold?

8 A That's correct.

9 Q Okay. So on page 5, does it talk about state thresholds
10 for BACT?

11 A There is some states that have numbers listed in here.
12 California Air District's are listed as having cost
13 effectiveness of 97 to \$24,500 a ton. There is an air
14 waste management meeting paper from 2002 which talks
15 about Connecticut having a cost of \$9,000. At the same
16 time, Arkansas was a \$5100 and Michigan was \$22,000.

17 Q The second bullet point on that page, what does it say?

18 A And that has Nebraska, Utah, Alabama, Oklahoma each have
19 stated costs below \$5,000 per ton will be presumed cost
20 effective.

21 Q So does EPA acknowledge here that states can have
22 different cost effectiveness thresholds?

23 A Yes. They have to be acknowledging that because they're
24 just showing how all of these various numbers exist in
25 people's different states.

1 Q So turning back to Ecology Exhibit 9.

2 A Okay.

3 Q Turn to page 2 of that document. What does this show?

4 A And this shows cost thresholds that we have used at
5 Ecology over the years.

6 Q Can you just run down those quickly.

7 A So in the '80s up through the early '90s, we used a
8 threshold of \$2,000 a ton.

9 Q So I want to stop you for a minute then. What did that
10 apply to?

11 A And that applied to pretty much any BACT decision, major
12 or minor, PSD or otherwise.

13 Q What pollutants?

14 A This was the number that was in place when I started and
15 the staff applied it to all pollutants.

16 Q Including toxic pollutants?

17 A They did not apply it to toxic air pollutants because
18 the air pollutant rule didn't exist until late '80s.

19 Q Okay. But it applied to all criteria pollutants?

20 A All the criteria pollutants, all the PSD-regulated
21 pollutants at that time.

22 Q And I will just ask you what the criteria pollutants are
23 for the benefit of the board.

24 A Criteria pollutants are -- the 1980 version or the today
25 version?

1 Q Why don't we go with the today version.

2 A Okay. It's PM2.5, PM10, ozone, NOx, sulfur oxides,
3 lead, and ozone.

4 Q You said ozone twice?

5 A Did I say it twice? There's six of them.

6 Q And what's the sixth? I always forget one, too. It's
7 not fair. I can tell you what it is. Can I tell him
8 what it is? The sixth one is carbon monoxide.

9 A Oh, well, that's because nobody cares anymore.

10 Q So going back to Ecology's Exhibit 9, what it shows on
11 page 2, so 1980s, the cost was about \$2,000 a ton?

12 A Yes.

13 Q And then what after that?

14 A Then after I started managing the program, we started
15 growing the costs and reflecting what costs were being
16 imposed by other states for RACT for PSD permitting
17 purposes, and in that process, we were starting to see,
18 as reflected in EPA's guidance, that there were
19 differences both between pollutant and between the type
20 of source emitting the pollutant on what was cost
21 effective.

22 Q And so what were --

23 A So in the mid '90s we had \$7,000 was the cost
24 effectiveness for our CR applied to a gas combustion
25 turbine, but it was less than \$1,000 if it was SO2 for

1 an oil-fired boiler with heavy oil.

2 Q So there was a variety --

3 A A variety.

4 Q Okay. Was \$7,000 per ton about the top?

5 A That was as expensive as we got. We discussed at
6 various times what might be appropriate for toxic air
7 pollutants, but we never even established even a rule of
8 thumb.

9 Q So then the last discussion here is the costs that are
10 considered acceptable now. What does that say?

11 A And that just says if a project comes in today, and this
12 is what I would defer to Mr. Crooks on, costs below
13 \$5,000, you know, don't even ask, just do it. Costs
14 between 5 and \$10,000, we'll start getting our pencil
15 out to see if there are errors in the analysis,
16 especially the cost analysis or the tons removed
17 analysis. And if it's over \$10,000, then it's not
18 considered a reasonable cost. And even that, those are
19 probably not fixed numbers. They're probably -- if it's
20 close to -- if it's 10,100, I would recommend getting
21 your pencil out.

22 MR. WISE: Ms. Shirey, we're coming up
23 on the noon hour. How much longer do you have on
24 direct?

25 MS. SHIREY: I have a bit longer, but

1 I can finish this particular thing up pretty quickly.

2 MR. WISE: Okay. When you reach a
3 stopping point.

4 Q (By Ms. Shirey): So in paragraph 57 of his prefiled
5 testimony, Dr. Sahu claims that if \$10,000 per ton was
6 the proper threshold in 2001, inflation would bring that
7 up to \$14,000 per ton, so \$14,000 per ton is the proper
8 cost threshold for BACT now. So do you agree that
9 \$14,000 per ton should be considered cost effectiveness
10 threshold for BACT in Washington now?

11 A Not in Washington. Might be someplace.

12 Q All right. So Dr. Sahu in his prefiled testimony used a
13 formula to update the EPA's cost effectiveness value of
14 \$10,000 per ton to \$14,000 per ton. That would have
15 been paragraph 57. Does Ecology Exhibit 9, page 2, have
16 anything to say about that?

17 A Yeah, it actually has that calculation shown for the
18 \$7,000 value using the same approach that he had in his
19 prefiled testimony.

20 Q So when you say the \$7,000 value, what is that?

21 A The \$7,000 value from the 1990s to mid 2000s that
22 Ecology would have used as a top end.

23 Q And so if you adjust that value for inflation, what do
24 you come up with?

25 A Using the Engineering Compliance Cost Index isn't

1 exactly an inflation adjustment, but it reflects the
2 change in the cost of materials and construction at a
3 construction project of the nature of adding a boiler or
4 SCR costs, but, yes, it says that that number would come
5 up to just over \$10,000 per ton removed.

6 MS. SHIREY: Okay. And that's a
7 reasonable stopping place for us right now.

8 MR. WISE: Okay. Why don't we take a
9 lunch break and come back at one o'clock and we'll
10 finish up this direct.

11 (Recess from 12:00 p.m. to 1:00 p.m.)

12 MR. WISE: Do you want to continue
13 with Mr. Newman's direct?

14 MS. SHIREY: Yes. And the first thing
15 I would like to do is ask the board to admit Ecology
16 Exhibit 9 and Ecology Exhibit 23, which I referred to a
17 little bit ago.

18 MR. WISE: Nine and 23. Any
19 objections?

20 MS. BENNETT: No, Your Honor.

21 MR. WISE: Thank you. Ecology
22 Exhibits 9 and 23 are admitted.

23 (R-ECY-9 & R-ECY-23 admitted.)

24 Q (By Ms. Shirey): We left off with cost thresholds. So
25 now I would like to turn to another aspect of a BACT

1 cost effectiveness analysis, which is the interest rate
2 that a facility would use.

3 In paragraph 76 of his prefiled testimony,
4 Dr. Sahu claims the proper interest rate BP should have
5 used for BACT effectiveness is the actual interest rate
6 BP paid. Do you agree with that?

7 A No.

8 Q And why not?

9 A The cost effectiveness analyses, in my history and
10 training, has been to use a uniform 7 percent interest
11 rate for all projects.

12 Q And who trained you to do that?

13 A I was trained to do that by Region 10 permitting staff.

14 Q Region 10?

15 A EPA Region 10 permitting staff who did the PSD permits
16 and who we worked for as a delegated agency.

17 Q I am going to hand you a copy Dr. Sahu's prefiled
18 testimony, if I may. Would you turn to page 35,
19 paragraph 76.

20 A Okay.

21 Q Do you see where he talks about the interest rate to
22 use?

23 A Yes.

24 Q And he cites to a footnote; is that right?

25 A Yes, Footnote 33.

1 Q Would you read Footnote 33.

2 A "For example, in Chapter 2 of its Control Cost Manual,
3 EPA states that: 2.5.2 Interest Rates. Firms may borrow
4 to finance the expenses associated with their compliance
5 strategies. The interest rate at which a firm borrows
6 is a key component in estimating the total costs of
7 compliance. Financial markets set different interest
8 rates for different activities depending on many
9 factors. Because this manual is concerned with
10 estimating private costs, the correct interest rate to
11 use is the nominal interest rate which is the rate firms
12 actually face. For permit applications, if firm-
13 specific nominal interest rates are not available, then
14 the bank prime rate can be an appropriate estimate for
15 interest rates."

16 Q Thank you. Could you turn to Ecology Exhibit 19.

17 A Okay.

18 Q So what is this document?

19 A This appears to be a copy of all or part of, probably
20 part of, the cost estimating section in Chapter 2 of
21 Section 1 of EPA's Seventh Edition of the Cost
22 Estimating Manual.

23 Q Could you turn to pages 14 and 15 in this document.

24 A Yes.

25 Q So the bottom of page 14 has a section on interest

1 rates. Could you read the first sentence there.

2 A First sentence under 2.5.2 reads, "Firms may borrow to
3 finance the expenses associated with their compliance
4 strategies."

5 Q And on the next page, do you see in the middle of the
6 page where there is a formula that says "i" equals "ir"
7 plus "p" to the "e"?

8 A Yes.

9 Q In the paragraph below that, could you read that little
10 short paragraph.

11 A "When performing cost analysis, it is important to
12 ensure that the correct interest rate is being used.
13 Because this manual is concerned with estimating private
14 costs, the correct interest rate to use is the nominal
15 interest rate, which is the rate firms actually face.
16 Accounting for inflation should be done separately
17 rather than using the real interest rate."

18 Q Thank you. So with that in mind, could you go back to
19 Dr. Sahu's prefiled testimony, Footnote 33.

20 A Yes.

21 Q So the language you just read, is that the quoted
22 language in Footnote 33?

23 A There is an ellipsis in the middle of the quotation,
24 which I'm not sure where -- it connects to something
25 which is outside of what I just read.

1 Q Right, but the words that are there --

2 A Up through the ellipsis.

3 Q Okay.

4 A The second ellipsis in the paragraph.

5 MS. BENNETT: Objection. Dr. Sahu's
6 testimony can stand for itself.

7 MS. SHIREY: Dr. Sahu, when I asked
8 him where this came from, this quote in the cost manual
9 in his prefiled testimony, he wasn't able to tell me
10 where it came from, and I'm trying to establish where it
11 comes from.

12 MR. WISE: Objection overruled.

13 Q (By Ms. Shirey): So when I asked Dr. Sahu if this was
14 the document he was quoting from, this Chapter 2 that
15 you just quoted from, he said it might have been, but
16 that the language might also have come from the Sixth
17 Edition of EPA's Cost Manual, and so I wonder if you
18 could turn to Ecology Exhibit 15.

19 A Okay.

20 Q So what is this document?

21 A First page is the cover sheet for the Sixth Edition of
22 the Control Cost Manual by EPA.

23 Q EPA's Air Pollution Control Cost Manual?

24 A Yes.

25 Q What's the date?

1 A January 2002.

2 Q So do you know if this document contains the language in
3 Dr. Sahu's Footnote 33?

4 A It does not.

5 Q Thank you.

6 MS. SHIREY: I would ask the board to
7 admit Ecology Exhibit 19 and Exhibit 15 into evidence.

8 MR. WISE: Any objections?

9 MS. BENNETT: No, Your Honor.

10 MR. WISE: Ecology Exhibits 19 and 15
11 are admitted.

12 (R-ECY-19 & R-ECY-15 admitted.)

13 Q (By Ms. Shirey): Would you turn to in Ecology Exhibit
14 15 to page 2-13.

15 A Okay.

16 Q And in the middle of the page, the last sentence of the
17 first full paragraph, could you read what that says
18 about interest rates.

19 A This is the last sentence of the first full paragraph.
20 "Also, since a change in the general level of prices
21 affects everyone simultaneously, social rates of
22 interest do not account for inflation. OMB sets the
23 social interest rate for governmental analyses, and it
24 is currently set at seven percent."

25 Q And then in the next paragraph, I think it's the third

1 line down, starts with "However."

2 A Okay. "However, the social rate of interest is probably
3 not appropriate for industry."

4 Q Thank you. So is this second sentence about the social
5 rate, which at this point was 7 percent, not appropriate
6 for industry, is that consistent with your experience in
7 what you've been taught about what interest rate to use?

8 A No, it is not consistent with my instructions and
9 training.

10 Q So what have you been taught?

11 A What I've been taught is to use a 7 percent interest
12 rate as not just a default but as the rate to do cost
13 effectiveness analyses.

14 Q Why is that?

15 A It allows inter-comparability between different sources
16 on the same controls. And it does not allow a source to
17 skew a cost effectiveness analysis by using different
18 emission rates as their cost of money.

19 Q So what happens if the interest rate at the source that
20 the applicant has, their actual interest rate is higher
21 than 7 percent?

22 A We have said to use 7 percent. In fact, if they were to
23 use 7 percent, it would raise all of their costs and
24 make what otherwise might be a cost effective control
25 non-cost effective.

1 Q You mean if they use --

2 A Use a higher interest rate.

3 Q So the approach that Dr. Sahu cites to in the latest EPA
4 guidance, does this represent a new guidance to you?

5 A Yes, it does.

6 Q Do you know why EPA is changing its approach?

7 A No. I did not read any background documents that would
8 tell me why they made the change.

9 Q Can you outline any problems that could occur with this
10 approach?

11 A Well, the largest problem is that you can't compare the
12 cost of the control on the same emission unit between
13 different companies or even the -- it's different
14 facilities owned by the same company that are in
15 different states.

16 Q So I want to turn back to Ecology Exhibit 19. What is
17 the date on this document?

18 A November 2017.

19 Q The permit for the coker heater project was issued on
20 May 23, 2017. Would this new guidance have applied to
21 that document?

22 A It wouldn't have been final chapter or guidance at that
23 time.

24 Q So would it have applied?

25 A Would not have applied.

1 Q The next issue I want to touch on is the contingency
2 factor that BP used in its cost effectiveness analysis.
3 Are you familiar with contingency factor?

4 A Yes, I am.

5 Q So BP used a contingency factor for BACT for both
6 nitrogen oxide and SO₂, they used a project contingency
7 factor of 15 percent. In paragraph 78 of his prefiled
8 testimony, Dr. Sahu says the contingency factor should
9 have been more like 5 percent. Do you agree?

10 A No, I don't agree for the level of the estimate, the
11 quality of the estimate that I believe was actually
12 prepared for the project.

13 Q So can you talk about the estimating process and what
14 contingency factors make sense?

15 A So estimates are done at various points during the
16 development of a project. They range from nearly order
17 of magnitude costs as a company starts evaluating the
18 project, and then there is a planning level cost that is
19 says this is what we want to do and this is what the
20 parts are. That might be as accurate as plus or minus
21 50 percent. And then as you move towards getting
22 authorizations, you get better quality estimates. By
23 the time you actually are embarking on design, you've
24 got an estimate that might be accurate to 20 to 30
25 percent. That's the point at which you're now preparing

1 construction drawings and everything. And then when you
2 get at the end of construction drawings, the engineer
3 firm doing that work might get to an accuracy of as
4 close as 5 or 10 percent.

5 So that's all reflecting the quality of the
6 information that's been acquired, the knowledge of
7 material needs, the knowledge of sub foundation
8 requirements. In the air pollution world, it's the
9 knowledge of what will actually be my BACT emission
10 requirements and what are the limits and what does that
11 equipment actually entail.

12 Q So when a facility submits a permit application with a
13 BACT determination, at what stage in that process is
14 that; how far along in the estimating process is that?

15 A I characterize it and have had it characterized to me is
16 it's that zone between I'm done with the planning, I've
17 got approval, but I'm not yet into formal design. So
18 it's probably plus or minus 30 percent.

19 Q And BP used 15 percent, so was that reasonable in this
20 case?

21 A Fifteen percent is not an unreasonable contingency to
22 cover unknowns, which can include the actual cost of
23 materials when you actually go to bid.

24 Q Does EPA have any guidance on contingency factors?

25 A I don't remember reading any. They may have it; I don't

1 remember reading any.

2 Q Okay. I want to go to Ecology Exhibit 15 again.

3 A Okay.

4 Q This is EPA's Sixth Edition of its Cost Control Manual.

5 Turn to page 2-44.

6 A Okay.

7 Q Table 2.5, what is that table?

8 A Table 2.5 looks like a short version of an example cost

9 analysis for determining total capital investment.

10 Q And what is the technology being talked about here?

11 A The particular technology is SCR.

12 Q And what does this have for project contingency?

13 A And this uses a project contingency of 15 percent.

14 Q Do you know what project contingency is?

15 A Project contingency is all of the variables related to

16 getting the project built, like I said, sub foundation,

17 sub soil issues, overhead infringements that you don't

18 understand before you get into design, and the cost of

19 raw material to build it is going to vary over time.

20 Q Could you turn to Exhibit R-24. It's in BP's binder.

21 A Twenty-four?

22 Q Twenty-four.

23 A Okay.

24 Q Do you recognize this document?

25 A Yeah, this is the May 2016 version of the SCR chapter

1 from the Control Cost Manual.

2 Q So is this the same Control Cost Manual that we've been
3 looking at?

4 A This is the May 16th version of the Seventh Edition
5 version of this chapter.

6 Q Okay. And this chapter deals specifically with
7 selective catalytic reduction?

8 A That's correct.

9 Q Could you turn to page 2-64.

10 A Okay.

11 Q And the Section 2.4.1, talking about total capital
12 investment. Could you read the last sentence of that
13 first paragraph?

14 A So this the first paragraph under 2.4.1, the last
15 sentence. "The capital cost equations included in the
16 manual reflect a process contingency of 5 to 10 percent
17 and a project contingency of 15 percent."

18 Q Can you tell me what process contingency is?

19 A My always understanding of process contingency is it's
20 the risk of the process to achieve its design
21 requirements. So SCR being a relatively mature
22 technology, the risk of it failing to meet a design
23 requirement is fairly low.

24 Q I want to move on to change in a method of operation
25 and when that is a modification and when it's not.

1 So the new coker heaters that BP is installing
2 will be able to run longer between cleaning, which means
3 the downstream units that burn coker off-gas will be
4 able to run longer over the course of a year. You
5 following that?

6 A (Nods head affirmatively).

7 Q NPCA claims the increased emissions from the downstream
8 units made possible by the new coker heaters makes those
9 downstream units modified units subject to BACT. Do you
10 agree?

11 A No, I don't.

12 Q Why not?

13 A Those downstream units already are capable of burning
14 that fuel stream and have been permitted to use that
15 fuel stream in the past from the existing cokers.

16 Q Could you turn to Exhibit P-11. So that's in the
17 smaller of those green books.

18 MS. BENNETT: Objection, Your Honor.
19 Mr. Newman already testified to the fact that he does
20 not have personal knowledge of the permit, he hasn't
21 worked on the permit, so this line of questioning we
22 should not be going down.

23 MR. WISE: Ms. Shirey.

24 MS. SHIREY: I'm asking Mr. Newman, as
25 someone who has extensive experience in PSD permitting,

1 whether certain explained decisions or explained
2 pathways in the permit are consistent with his
3 experience.

4 MR. WISE: Objection overruled. I'll
5 allow the question.

6 Q (By Ms. Shirey): So Exhibit P-11, do you recognize this
7 document?

8 A Yes, I do.

9 Q What is this?

10 A This is an EPA guidance letter related to a project at
11 the Puget Sound Refinery in Washington State.

12 Q Which Puget Sound refinery?

13 A That's the name of the refinery actually, but it's
14 currently owned by Shell.

15 Q Okay. So do you know what project this is talking
16 about?

17 A This was an old project that added a new delayed coker
18 unit to the facility.

19 Q And when was that project?

20 A According to the first paragraph of the letter, that was
21 1983.

22 Q And what happened in 1983?

23 A In 1983, they built a brand-new never existing delayed
24 coker unit and then routed the off-gasses of that to the
25 flare system header.

1 Q EPA's decision on that question is at the bottom of page
2 2 of this document in the second and third sentences of
3 the last paragraph. Could you read those two sentences?
4 A "Under NSPS subpart J, it is the agency's position that
5 a physical change made at an upstream refinery process
6 unit could result in an operational change to the flare
7 as a result of additional fuel gas being released to the
8 flare. Combusting gas streams not previously combusted
9 in the flare is a change in how the flare operates
10 whether these streams are routed on a routine or on an
11 intermittent basis."
12 Q Okay. Now I'm wondering if you could turn to Ecology
13 Exhibit R-20.
14 A R-20. Okay.
15 Q Do you recognize this document?
16 A Yes. It's operating permit statement of basis for Shell
17 Puget Sound Refinery.
18 Q And if you turn to page 51 in this document.
19 A Yes.
20 Q It describes the construction history and regulatory
21 applicability, I believe.
22 A Yes, it does.
23 Q And what does that first paragraph say?
24 A You want me to read it?
25 Q Well, if you could just state it.

1 A "Shortly, the delayed coking unit was constructed in
2 1984 under a Northwest Clean Air-issued permit that was
3 issued in 1983. It was revised at a later date."

4 Q So is this the project that was being discussed in EPA's
5 guidance letter that we just read?

6 A I believe this is the same project.

7 Q Okay. Is this similar to what's going on at, as far as
8 you know, as what's going on at the BP facility?

9 A No.

10 Q And why not?

11 A This was a brand-new coker unit at a facility that had
12 not had a coker unit before.

13 MS. SHIREY: I would ask the board to
14 admit Ecology Exhibit 20.

15 MR. WISE: Any objections?

16 MS. BENNETT: No, Your Honor.

17 MR. WISE: Ecology Exhibit Number 20
18 is admitted.

19 (R-ECY-20 admitted.)

20 Q (By Ms. Shirey): I wonder if you could turn to Exhibit
21 22, Ecology Exhibit 22.

22 A Okay.

23 Q Do you recognize this document?

24 A Yes, I do.

25 Q What is it?

1 A It's an EPA guidance letter from EPA headquarters to EPA
2 Region 10 regarding a PSD permit applicability question
3 for a pulp mill in Washington State.

4 Q Do you know what that project entailed?

5 A Yeah, it -- let me read this. The company was proposing
6 to install a pulp-bleaching plant and a larger digester
7 for the mill.

8 Q And what kind of emissions increase would that cause?

9 A It could cause carbon monoxide emissions, it could cause
10 emission increases at the recovery furnace from getting
11 more black liquor.

12 Q Recovery furnace?

13 A Yeah, recovery furnace, recovery boiler.

14 Q Okay. So I wonder if you could read the third sentence
15 in that first paragraph.

16 A "While the construction of these units does not by
17 itself cause increased emissions, emissions from the
18 recovery boiler as a result of this construction
19 activity will increase above the significance levels but
20 remain below the maximum design permit levels."

21 Q And EPA's decision on this particular question was --
22 that is the next-to-the-last paragraph on page 3 of this
23 document. What did EPA decide here?

24 A EPA concluded "Since the recovery boiler will not be
25 undergoing a physical change or change in the method of

1 operation, it will not have to apply BACT. However, the
2 emission increases have to go through air quality
3 analyses and will consume air quality increments."

4 Q Could you -- if you don't know, say I don't know, but if
5 you do know, could you describe how the situation in
6 this letter is similar to the situation with the BP
7 coker units?

8 A Based on the information I've heard here and in my
9 discussions with the permitting staff, this looks
10 exactly like the project in regards to what we call
11 affected units in this permit.

12 Q And why is that?

13 A Because the units are only increasing their utilization
14 potentially or increasing an existing fuel; they're not
15 being physically modified or operationally modified.

16 Q Could you turn back to 22 for just a second. What is
17 the date on Exhibit 22?

18 A The date on Exhibit 22 is July 28, 1983.

19 Q Okay. So now go back to Exhibit 21. And what is the
20 date on that document?

21 A February 8, 2000.

22 Q So do you know what this letter is, what this document
23 is?

24 A This is another letter asking about dealing with PSD
25 applicability for the bottleneck sources and has a

1 number of scenarios they're investigating.

2 Q So if you turn to the second page of this document,
3 there is an indented quoted paragraph in the middle of
4 that page. Do you see that?

5 A Yes.

6 Q Do you know where that paragraph came from?

7 A The text just ahead of it says it came from the 1983
8 letter from EPA Headquarters to Michael Johnson of EPA
9 Region 10 that's referenced in 22.

10 Q That is the one, that Ecology Exhibit 22.

11 A Yes.

12 Q And can you read the first sentence of that quoted
13 piece.

14 A "Since the recovery boiler could not have operated at a
15 level higher than that provided by the existing digester
16 capacity, any increase in actual emissions at the
17 recovery boiler, which will result from the increased
18 capacity provided by the larger digester, must be
19 considered for the purposes of PSD applicability."

20 Q And then go on.

21 A "Since the recovery boiler itself will not be undergoing
22 a physical change or change in the method of operation,
23 it will not have to apply best available control
24 technology."

25 Q Thank you.

1 MS. SHIREY: I would ask to admit
2 Ecology Exhibits 21 and 22.

3 MR. WISE: Any objection?

4 MS. BENNETT: Your Honor, I object to
5 Exhibit 22.

6 MR. WISE: What's your objection to
7 22?

8 MS. BENNETT: It lacks foundation. It
9 appears that Mr. Newman has not had the level of
10 familiarity with this document and actually has been
11 reading this document while he is on the stand.

12 Q (By Ms. Shirey): So I would ask, Mr. Newman, are you
13 familiar with this document?

14 A I have seen it before and read it before.

15 Q You've read it before. Thank you.

16 MR. WISE: Mr. Newman is an expert and
17 he's been presented with facts and asked for his
18 opinion. I don't have any problem with that. So I'll
19 overrule the objection.

20 MS. SHIREY: So I ask to admit Ecology
21 Exhibits 21 and 22.

22 MR. WISE: Ecology Exhibits 21 and 22
23 are admitted.

24 (R-ECY-21 & R-ECY-22 admitted.)

25 Q (By Ms. Shirey): So I have one last or couple of

1 questions. There's been some discussion in this case
2 about affected units versus modified units. Can you
3 describe what these two terms mean?

4 A Well, modified unit is, definitionally, it's an emission
5 unit that's physically or operationally modified that
6 results in emissions increase as a result of an
7 operational modification.

8 An affected unit, which also can go by the term
9 debottleneck, is an emission unit that has an emission
10 increase as the result of another project but for which
11 it is not modified or has a change in its method of
12 operation.

13 Q Is that an important distinction in air permitting?

14 A It is a very important distinction in air permitting.
15 It helps define what emission units are subject to BACT
16 and which ones are simply subject to ambient air quality
17 analysis.

18 Q Thank you. I have no further questions.

19 MR. WISE: Okay. Ms. Bennett, cross
20 exam? I'm sorry, any more direct questions?

21 MS. POWER: No, thank you.

22

23 CROSS EXAMINATION

24 BY MS. BENNETT:

25 Q Good afternoon, Mr. Newman.

1 A Hello.

2 Q You testified that you're familiar with FLAG guidance,
3 correct?

4 A I've used FLAG guidance and read it over the years.

5 Q And you say you have familiarity with this project?

6 A I have a rudimentary familiarity with the project from
7 my proximity to the permitting staff and having been
8 asked questions over time.

9 Q Given that rudimentary familiarity that you're stating,
10 isn't it correct that Ecology has not received any
11 formal communication from the Park Service or the
12 Department of Interior after the finding of adverse
13 impact concerning this project?

14 A I'm not aware of any communication.

15 Q That includes withdrawing adverse impact finding as
16 well?

17 A I have not seen any evidence that that finding has been
18 withdrawn.

19 Q Given your level of familiarity with the project, has
20 the Park Service alerted Ecology that it had concerns
21 with EPA's modeling analysis in the Summer of 2016?

22 A I was aware that through, like I said, my proximity to
23 the permitting staff, I was aware that it had come up
24 and that there were issues.

25 Q Is it your position that if BP is affecting haze after

1 this project, you will require controls to address that,
2 you will require controls from BP to address that?

3 A BP will be evaluated, as other sources will, for whether
4 there are available and appropriate controls that can be
5 installed, and, if so, they will be required as part of
6 the regional haze for reasonable progress goal for 2028.
7 I cannot give you an answer there will be a reduction.

8 Q Based on what information?

9 A Based on the analysis has not been started or completed.

10 Q Does that include pollution controls that are equivalent
11 to BACT as we are discussing here?

12 A Those are the kind of controls that would be evaluated.

13 Q Regional haze provisions don't address deposition,
14 right?

15 A That is correct.

16 Q When you mentioned earlier that all the BART sources
17 would fail the Q/d test, that included BP, correct?

18 A That is correct.

19 Q Mr. Newman, could you please turn to tab 9 in Ecology's
20 exhibits.

21 A Yes.

22 Q Mr. Newman, did you prepare this?

23 A No, I did not.

24 Q So is your testimony based on you reading this
25 information, or reading from it?

1 A I helped prepare it; I did not prepare it. My work was
2 principally on page 2.

3 Q Based on your knowledge of the project, is the 10,000
4 threshold what Ecology applied in this case?

5 A I believe that's what the permitting staff applied. I
6 would have to reread the support documents to determine
7 that for sure.

8 Q Mr. Newman, could you please reference Ecology Exhibit
9 23, page 4.

10 A Yes.

11 Q On that page, EPA notes in 2001 dollars, correct, in
12 that footnote, or in that bullet point, excuse me?

13 A The document was dated in 2001, and I do not remember
14 that the document actually stated what year dollars
15 those were, and they may have been 2000 or 1999.

16 Q Mr. Newman, are we looking at the same document, page 4?

17 A You said Ecology Exhibit 23.

18 Q Yes, page 4. And it says --

19 A It says in 2001, excuse me.

20 Q The next line, "This guidance used a cost effectiveness
21 threshold of \$10,000 per ton of NOx controlled in 2001
22 dollars."

23 A Yes, I agree. I misread the bullet.

24 Q I would like you to then please turn to page 6. Please
25 reference the middle of the document. EPA advises that

1 states must consider inflation, right?

2 A I have not seen any EPA document that advises we must
3 consider inflation.

4 Q Even the letter that sits right before you?

5 A Even though that sits right before me. I have not been
6 advised by EPA of that. I don't read every EAB appeal
7 decision.

8 Q When is the last time that you were advised by EPA about
9 that?

10 A I don't believe I've ever been advised by EPA on
11 inflating costs.

12 Q With that said, where does your knowledge then come from
13 about that?

14 A About what?

15 Q About the inflation.

16 A Because I've never been advised --

17 Q No.

18 A -- of that knowledge?

19 Q Yes. You're saying that you have never been advised and
20 so you don't do anything beyond that. So do you ever
21 look beyond the scope of just being specifically
22 directed by EPA, I mean, do you look at --

23 MS. SHIREY: That's kind of a vague
24 question. I wonder if you could rephrase the question.

25 MR. WISE: I think I'd let her finish

1 the question.

2 MS. SHIREY: Sorry. I thought she was
3 done.

4 MS. BENNETT: I'll withdraw the
5 question.

6 Q (By Ms. Bennett): You determined earlier in your haze
7 plan work that BP adversely affects the parks, correct?

8 A Yes.

9 Q And based on that rudimentary understanding of the
10 project, will this project increase emissions from BP?

11 A Yes.

12 Q Do you know what emissions data BP has supplied the Park
13 Service?

14 A No.

15 Q Do you know what emissions data BP has supplied Ecology?

16 A They supplied Ecology what was in the application.

17 Q So are you aware of the fact that BP did not provide
18 either hourly or 24-hour emissions data to the Park
19 Service?

20 A I'm not aware that they did or did not.

21 Q Are you aware of the fact that BP did not provide either
22 hourly or 24-hour emissions data to Ecology?

23 A If that's what was in the application, that's what was
24 in the application. I did not go through the pages of
25 the application; it was not part of my job.

1 Q But you did say you were familiar with --

2 A I'm familiar with it on general terms. I am not a
3 detailed reviewer of the permit. It's not mine to
4 evaluate.

5 Q You testified that process delays in permitting can be
6 undesirable for time and cost to the company, correct?

7 A What was the first --

8 Q You testified that process delays in permitting can be
9 undesirable for time and cost?

10 A Yes, I did.

11 Q Time is a financial consideration, correct?

12 A Yes.

13 Q Delays in business is also a financial consideration?

14 A It's a business decision people make.

15 Q So a company might install BACT-level controls to save
16 that time and cost, correct?

17 A They might install LAER-level controls to avoid it.

18 Q They would not install BACT?

19 A They might install LAER, not just BACT.

20 Q So both?

21 A Either.

22 Q You testified consent decree is extortion.

23 A Every consent decree that I have been involved with from
24 EPA is some form of EPA owns the -- EPA has the source
25 in their sights and the source doesn't have lots of

1 wiggle room. EPA usually dictates the control
2 technologies that get installed.

3 Q I want you to refer to Ecology tab 8, page 22.

4 A Report page 22?

5 Q Yes.

6 A Okay. Just checking.

7 Q Mr. Newman, could you please refer to NOx and stationary
8 sources in that.

9 A Yes.

10 Q Is the Cherry Point Refinery one of those sources?

11 A Yes, it is.

12 Q Can I please point you to the 2011 number and ask you
13 how much of that was from Bp's Cherry Point Refinery?

14 A Not without the spreadsheets that are behind this.

15 Q Could I have you reference the chart on page 15, the bar
16 graph for BP Cherry Point Refinery.

17 A Yes.

18 Q So based on that chart, in 2011, NOx was at 2,000 tons
19 per year, correct? That's page 15.

20 A Yes. So which year?

21 Q 2011.

22 A 2011 would have been 2,000 tons, yes. Sorry, I may have
23 written it all; I forget all the details.

24 Q No problem. Understandable. Based on that chart, they
25 have been near that level for the last several years,

1 correct?

2 A They've been decreasing emissions over the last several
3 years, but, yes, they're still above 1500 tons.

4 Q So I would like to refer you back to page 22.

5 A Mm-hmm.

6 Q Based on the chart on page 15 and the data from 2011, in
7 2011, BP was roughly 10 percent of all stationary
8 sources, correct?

9 A Looks to me like it's probably closer to 9 percent, but
10 in that range.

11 Q Give or take. And if you compare the tables on page 23
12 and page 15, you show again that BP is roughly 10
13 percent of sulfur from the stationary sources, correct?

14 A Yes.

15 Q Thank you.

16 MS. BENNETT: Nothing further, Your
17 Honor.

18 MR. WISE: Thank you. Any further
19 cross?

20 MS. POWER: I have one redirect
21 question if I may, if that's all right.

22 MR. WISE: All right. You can start
23 redirect.

24 ////

25 ////

1 REDIRECT EXAMINATION

2 BY MS. POWER:

3 Q Mr. Newman, just following up on the last line of
4 questioning, you were asked about the role of BP
5 essentially with respect to its emissions, and I just
6 want to clarify both with respect to that last line of
7 questioning as well as with respect to your answer
8 regarding BP and other BART sources failing Q/d
9 previously, is that with respect to the entire refinery
10 or with respect to the coker heater project at issue in
11 this case?

12 A The entire refinery.

13 Q Okay. So it is not specific to any emissions related to
14 the coker heater; is that right?

15 A That is correct.

16 MR. WISE: No other redirect?

17 MS. SHIREY: I have nothing.

18 MR. WISE: Board questions.

19

20 EXAMINATION

21 BY MS. MARCHIORO:

22 Q In terms of regional haze and the 2064 term, something I
23 am really looking forward to, you were asked about tools
24 and various things that you would be looking at. I am
25 curious, what is enforceable? What is it you could do?

1 My understanding of these air permits and one of the
2 reasons why there is a lot of concern when they're
3 issued is it's not like an NPDES permit that comes in
4 every five years for tuning up and ratcheting down. So
5 what tools do you have that are enforceable that can
6 actually make a change at a facility? We're not going
7 to talk specifically about BP Cherry Point.

8 A The RACT process is probably the best tool that we have
9 in our tool box.

10 Q What triggers RACT?

11 A One of the things that can trigger RACT is a federal
12 requirement. Other things are ambient air quality
13 problem that's attributable to the source. There's five
14 different things that I can't remember what they all are
15 right off.

16 Q So an ambient air quality problem that's attributable to
17 the source means it would have a degradation of air
18 quality?

19 A Yes.

20 Q So let's say it's a degradation of air quality. When
21 you go in and do that RACT analysis, is it specifically
22 limited to that particular air quality problem or is it
23 a fresh look at the entire facility?

24 A I would say as the agency, it's a fresh look at the
25 emissions from the facility that affect the problem.

1 The companies will often say it's only to the extent of
2 the pollutants that affect the problem. The RACT
3 process has a step in which we have to identify the
4 pollutants of concern that are being addressed, and
5 that's where we look at what are the pollutants that we
6 have to deal with, which may be beyond just the
7 narrowest of what's the ambient air quality problem that
8 we're addressing, as it may be the only opportunity we
9 get to do anything to the plant for a very long time.

10 Q Is that one of those points that is hotly debated
11 between the regulated community and the regulator?

12 A Very hot.

13 Q And you're not in EPA so you don't feel like you've got
14 the big stick?

15 A I don't have an EPA stick in my pocket.

16 Q I want to ask you a little bit about BACT and Ecology's
17 Exhibit 9, which was the chart.

18 A Yeah.

19 Q I'm just trying to get a sense of --

20 MR. WISE: Do you have the number on
21 that exhibit?

22 MS. MARCHIORO: Exhibit 9, Ecology 9.

23 Q (By Ms. Marchioro): So you have these different
24 numbers. I know you helped, but didn't prepare this,
25 but I'm just trying to understand. And there is a

1 \$10,000 figure that's been discussed as the threshold
2 here. When you have these times when folks are either
3 voluntarily putting in, let's say it's an SCR, they're
4 voluntarily putting it in or it's what is appropriate
5 for the unit, I thought you said, and you're not
6 calculating any costs, so how do you ever get yourself
7 with enough information to get a better handle on what
8 the true cost is or what is a more appropriate, I would
9 say, BACT economic cost, because it seems to me every
10 time people do it and you don't take the cost
11 information, you're losing an opportunity to fine tune
12 your number.

13 A Right.

14 Q And so what do you do about that?

15 A That's where we have to look at what's going on in other
16 states, so that's the comparative costs that other
17 facilities are incurring for installation of controls.

18 Q So we looked at that footnote that had all those
19 different costs, I can't remember which document it was,
20 and we had the low end of \$5,000 in the midwestern
21 states, I recall, and then there were some that were up
22 to 24,000. So how do you then not look at those and say
23 -- do you do an average or what do you do with that and
24 say maybe 10,000 is a little light?

25 A Well, a lot of it is looking at so what are they doing,

1 how much controls do they already have in their state,
2 what's the sources they are looking at, because the cost
3 effectiveness can vary by source, not just by pollutant.
4 So it requires more than just looking at, well, that's
5 the range that's been used so what have you been
6 applying it to and how many of these do you actually
7 get, or is this just like is my state policy is that's
8 the number, therefore, if you're below that, that's what
9 you do. We've never established a state policy in that
10 way. We've always looked at what's the comparable cost
11 of other people.

12 Q Okay. Let me ask you about cost estimates that you get
13 in the BACT analysis. So let's say the cost estimates
14 are enough above your threshold that you have either got
15 your pencil out or it's not -- I'll start with the other
16 direction. Let's say you're just below your threshold,
17 and within a certain period of time and let's say that
18 the, I saw this in one of documents that makes it
19 possible, is that occurrences, let's say steel just for
20 whatever reason, tariffs or otherwise, it goes up, the
21 cost of steel goes up. Can a company come in after
22 you've made a BACT determination and say, hey, wait a
23 minute, we've now gone from \$9,500 per ton to \$13,000
24 per ton; therefore, we're above your threshold, we can't
25 do BACT?

1 A I can't recall anybody ever asking that form of the
2 question. So this is going to be more conjecture than
3 real, but this is the approach. First off, if a permit
4 has been issued, BACT has been established, costs went
5 up, it's kind of tough. If the permit hasn't been
6 issued, there may be grounds to go and re-evaluate BACT
7 at that point, but it's going to be a re-evaluation
8 based on the new condition, it won't be, oh, costs went
9 up, we can't do it anymore.

10 Q So the same would be true if costs went down. Once you
11 have given someone the opportunity not to install BACT,
12 you can't come back later and say, oh, by the way, your
13 assumptions have been proven a little bit off, you fit
14 and, therefore, you shall?

15 A That is correct.

16 Q And Ecology Exhibit 19, that's the brand-new excerpt
17 from the Cost Manual; is that right?

18 A Yeah, 19 is the excerpt from the November edition.

19 Q So I want to talk to you a little bit about that
20 interest rate. I'm just trying to understand if you've
21 been instructed by EPA to always use 7 percent, why is
22 EPA calling it a default rate then?

23 A I don't know other than it's the number. In this case,
24 they portray it as it's the number to use if you don't
25 have anything else, which makes it default.

1 Q And so I'm just curious about that anything else. Is
2 there an effort made by Ecology to go out and look for
3 anything else?

4 A Up until the advent of this manual, there has been no
5 reason to go look for anything else.

6 Q Can you explain that a little bit further?

7 A Well, as I tried to explain earlier, until this, until
8 November 17 when this final update of this, update to
9 the Cost Manual chapter came out with the statement that
10 you use other than 7 percent as the preferred interest
11 rates for calculating capital recovery factor, not just
12 the default but the answer is you always use 7 percent
13 as they did in the fifth and sixth editions of the
14 manual.

15 Q I'm going to have you look then at Exhibit Ecology's 15,
16 and specifically at page 2-13. I'm probably confusing
17 myself; at least I'm hopeful that you will fix that
18 problem.

19 A Okay.

20 Q In the first full paragraph, it says OMB sets the social
21 and interest rate for government analyses at 7 percent
22 and then there have been -- prior to that there is a
23 discussion of different social interest rate versus I
24 think the other real interest rate. So the next
25 paragraph goes on to talk about the social interest

1 rate, et cetera, and then you get to the end and the
2 last sentence, and this is where I am getting confused,
3 because it talks about EPA has this interest rate
4 different from EPA's 7 percent, then there are these
5 customized interest rates in each chapter of the manual.
6 That's why I am getting confused, because it seems to me
7 if there was a default, there wouldn't be these
8 spreadsheets and things in their Cost Manual to come up
9 with a different interest rate, so can you explain
10 that.

11 A Okay, the spreadsheets referenced, in order to make the
12 spreadsheet work for trial purposes, they have to have
13 an interest rate installed so they put 7 percent into
14 the spreadsheet so that the user then can vary that
15 interest rate if they so choose. It's one of many
16 variables that can be installed in the spreadsheets.

17 Q And the user in that instance is, for example, the
18 Department of Ecology?

19 A That's correct.

20 Q So there is some authority there, if you had chosen, to
21 adjust the interest rate?

22 A That is correct.

23 Q Okay. Thanks very much.

24 ////

25 ////

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

EXAMINATION

BY MR. WISE:

Q You mentioned RACT, R-A-C-T I am assuming. Could you tell me more about that.

A Reasonably available control technology is a provision in Washington State Clean Air Act that allows the Department of Ecology to require modifications in addition to emission controls on sources in the state. It directs the methodologies so that if there are two industries in a source category or fewer, we can do it by individual to the source. If there are three or more, we have to do it by regulation, and provide some outline -- it's a criteria by which we can use to require as a threshold requirement to go into the process.

Q Okay. Thank you.

Ms. Brown.

EXAMINATION

BY MS. BROWN:

Q I'm still curious about the cost effectiveness threshold and how that's established by Ecology. I think you said at one point that there's no state policy, and my understanding is there's no state rule that sets the cost effectiveness threshold.

1 A That is correct.

2 Q So who in Ecology sets it, how -- what's the process
3 there? Do you just look at each application and decide,
4 okay, for this app, it's going to be this level; how do
5 you do that?

6 A I hate to say it, it's not a lot different than we look
7 at each permit on its own merits and make a decision.
8 We have rules of thumb that we have developed over time,
9 as mentioned in the one exhibit, that used to be \$2,000
10 a ton. During my tenure of supervising the unit, that
11 grew to 4 to \$7,000, depending on pollutant to the
12 source. Since I left being supervisor, it's continued
13 to grow. It's been reflecting costs that we're seeing
14 in Washington and costs that these sources are incurring
15 in other states for the installing of the various
16 control technologies.

17 Q So then industry doesn't know what that number is?

18 A They won't know that any better ahead of time, no. They
19 might know this is what it was last time.

20 Q Okay. All right. Thank you.

21 MR. WISE: Ms. Bennett, any follow-up
22 questions?

23 MS. BENNETT: Yes, Your Honor, just a
24 few.

25 ////

1 FURTHER EXAMINATION

2 BY MS. BENNETT:

3 Q You mentioned RACT in your testimony to both Judge
4 Marchioro as well as Judge Wise, correct?

5 A Yes.

6 Q That's Reasonable Available Control Technology, correct?

7 A That is correct.

8 Q That's not as stringent as BACT, right?

9 A No, it is not.

10 Q BACT is best achievable control technology, correct?

11 A Best available control technology?

12 Q Best available. Excuse my error.

13 A Yes.

14 Q Thank you.

15 MR. WISE: Any other follow-up
16 questions?

17 Ms. Shirey.

18 MS. SHIREY: Just a couple.

19

20 FURTHER EXAMINATION

21 BY MS. SHIREY:

22 Q So you mentioned or you were just asked that RACT is one
23 of the tools you have to meet the reasonable progress
24 goals under the regional haze program. Is that the only
25 tool?

1 A Like I mentioned, it is the best tool in my tool box. I
2 also have the ability, I believe, to use EPA's four
3 factor process in order to do the evaluations and
4 establish limits.

5 Q Is that four factor process established somewhere in EPA
6 regulations?

7 A It's in EPA regulation and it's part of the Clean Air
8 Act.

9 Q Okay. And getting to the question of interest rates,
10 have you ever asked EPA if you could use a different
11 interest rate in a BACT cost effectiveness evaluation,
12 or had a source ask EPA if they could use a different
13 interest rate?

14 A It did come up at least once while I was supervising the
15 permit unit, and the company wanted to use a much higher
16 interest rate because that was their actual cost of
17 money, and EPA said no, use 7.

18 Q Thank you.

19 MR. WISE: Ms. Power, any follow-up?

20 MS. POWER: Nothing. Thank you.

21 MR. WISE: Thank you, Mr. Newman.

22 Ms. Shirey, do you have another witness?

23 MS. SHIREY: I do. Gary Huitsing.

24 ////

25 ////

1 GARY HUI TSING, having been first duly
2 Sworn by the Certified Court
3 Reporter, testified as follows:
4

5 DIRECT EXAMINATION

6 BY MS. SHIREY:

7 Q State your name and spell your last name for the record.

8 A Sure. My name is Gary Huitsing, G-A-R-Y, last name
9 spelled H-U-I-T-S-I-N-G.

10 Q And where do you work at this point?

11 A I currently work at the Department of Ecology building
12 in Lacey, Washington.

13 Q And what is your job there?

14 A I'm a permit and policy engineer for the air quality
15 program.

16 Q Can you tell me something about your education?

17 A Sure. I used to be a teacher. I have a degree in
18 secondary education. I went back to school and earned a
19 degree in atmospheric science from the University of
20 Washington and I stayed at the University of Washington
21 and earned my master's in the civil engineering
22 department. At the time they had an air resources
23 division. Since then, they have changed the name of the
24 department to civil and environmental engineering. And
25 I have a master's of science in engineering from that

1 civil engineering department, air resources.

2 Q Are you a professional engineer in the state of
3 Washington?

4 A Yes, I am, I obtained my license in 2006 and it's
5 current as of today.

6 Q Could you turn to Ecology's Exhibit 1. It's that book
7 right in front of you.

8 A Okay.

9 Q Do you recognize this document?

10 A Yes, I do.

11 Q Can you describe it.

12 A Sure. It's my resume'.

13 Q So I want to go down this a little bit and look at your
14 experience. What kind of work have you done since you
15 got your degree in engineering?

16 A Oh, I've been an environmental consultant since I got my
17 degree. I also did some part-time air testing for air
18 sampling companies. And then, of course, Department of
19 Ecology.

20 Q So how long have you been doing air permitting work?

21 A Air-related work since approximately 2000, 2001 to the
22 present. Off and on as a consultant. You usually get
23 hired in a big air project and then the project is over
24 and they'll throw you in some other media, ground water
25 sediments, stormwater, until they get another air

1 contract and you're back on doing air again, but mostly
2 air.

3 Q I see on here that you worked for Landau & Associates.
4 What did you do at Landau?

5 A I started at Landau in 2003 and that's pretty much it.
6 They had contracts for air-related projects and most of
7 my time there was involved in air. Like I said, I
8 deviated into other media also when work in air was low,
9 but mostly air, preparing applications for different
10 facilities, air permit applications for clients and
11 submitted them to the Department of Ecology on behalf of
12 a client.

13 Q Did you do any BACT analyses or did you work on BACT
14 analyses in that job?

15 A Yes, I did.

16 Q And what was your role in those BACT analyses?

17 A I prepared the BACT analysis.

18 Q What kind of information would you get typically in
19 order to prepare those analyses?

20 A Well, you're trying to get costs, you're trying to make
21 sure the steps were done right, the top-down analysis,
22 we call them 1 through 5. I identify and eliminate
23 technically infeasible options, rank the rest and then
24 evaluate the three, energy, environment, and economic
25 impacts, and finally make a selection.

1 MS. SHIREY: I would ask the board to
2 admit Ecology Exhibit 1 into evidence.

3 MR. WISE: Any objection?

4 MS. BRIMMER: No objection, Your
5 Honor.

6 MR. WISE: Ecology Exhibit 1 is
7 admitted.

8 (R-ECY-1 admitted.)

9 Q (By Ms. Shirey): So how long have you been at the
10 Department of Ecology?

11 A I started in August of 2012.

12 Q So about six years?

13 A That's right.

14 Q And what do you currently do at Ecology?

15 A Currently, I'm engineer in support of permitting and
16 policy.

17 Q Looking at your resume' here, it looks like your job
18 changed at Ecology in 2016; is that right?

19 A That's right. I started at Ecology in the PSD program,
20 although, even then, I had some other roles, but
21 primarily doing permitting. I did do a RACT analysis,
22 that project ended, and then I pursued another opening.
23 There was an opening for permit and policy engineer and
24 I started that in November of 2016. Since I was still
25 working on two PSD projects at the time, PSD lead for a

1 group, Marc Crooks asked me to continue those two
2 projects. One of them was the Tesoro project mentioned
3 today, that has since been completed, and BP is my last
4 PSD project.

5 Q So you just answered my next question. As part of your
6 job, were you involved in the PSD permit for the BP
7 coker heater project?

8 A Yes, I was.

9 Q And what was your role in that permit process?

10 A I was the permit engineer for the coker heater
11 replacement project.

12 Q And what does that mean, what did you do?

13 A So I would review the application when it came in.
14 Initial application came in in, I believe, September of
15 2014. We're required to prepare a completeness
16 determination, whether the application is complete or
17 incomplete. We have 30 days to do so. And we submitted
18 an incomplete determination in October, I believe, of
19 2014. And since then, they've since submitted a new
20 application. I refer to it as the March application.
21 We're referring to it as the consolidated June
22 application. Technically, it was the March application
23 that came in. I determined it to be complete in April.
24 Once again, I had 30 days to do so. There was some
25 correspondence. I thought it would be convenient, as we

1 anticipated going to public review, to consolidate the
2 March application with that correspondence and thus we
3 have a June 2016 application, and I've been working with
4 it ever since. Response to comments, we received
5 numerous comments through to the present.

6 Q So did you sign the permit?

7 A I did.

8 Q And did you stamp the permit with your professional
9 engineer stamp?

10 A Yes, I did.

11 Q What does it mean when you stamp a permit with your
12 professional engineering stamp?

13 A To the best of your knowledge and engineering
14 discretion, it satisfies the requirements that you're
15 asked to look at, in this case, WACC, PSD requirements,
16 down the line, everything that's required to be done.
17 And if they satisfy all those requirements, my
18 understanding is we have to issue the permit. Until we
19 had all the information and a complete application and
20 answered the responsive comments, we did so, we issued
21 the permit.

22 Q And as part of your review, did you ask BP to answer
23 questions, to review things, did you have questions for
24 BP?

25 A Yes, we did.

1 Q I want to turn to Exhibit JE-1. Do you recognize this
2 document?

3 A Yes, I do.

4 Q What is it?

5 A That's the June application that I just referred to for
6 Cherry Point coker heater replacement project.

7 Q I want to turn, and I apologize because I did not write
8 down the JE number on this, and it's going to be hard to
9 find, but when I find it, I'll let you know. It's
10 Appendix G, pages 1 through 5. Appendix G is JE000249.

11 A Okay. I have it.

12 Q Okay. And I'm turning to -- well, let's start with page
13 3 of that, which is JE000255. Let's go back to 253. Do
14 you see the JE numbers there on the bottom?

15 A I see it. I'm there.

16 Q So what is this? At the top it says, "Response to
17 Comments." What comments are those, who is responding
18 to what?

19 A Oh, okay. This looks like BP's response to our
20 incompleteness letter, the October 2014 incompleteness
21 letter, and here is the response to all of our concerns.

22 Q I just want to highlight a couple of these to see what
23 kind of questions you asked. What was Ecology question
24 number 2?

25 A You mean read that whole paragraph?

1 Q Well --

2 A I can summarize it. I spent, it was me, it was not
3 National Park Service, I reviewed our emission inventory
4 and emission inventory personnel Sally Otterson, I asked
5 her for the emission inventory for the facility. I
6 looked through every single baseline emissions for this
7 project, every unit, and I found some discrepancies and
8 I list what those are.

9 Q Discrepancies between what?

10 A Between the baseline emissions listed in the application
11 and those in our emission inventory.

12 Q And turning a couple of pages to Ecology question number
13 12.

14 A Okay.

15 Q So what were you asking for there, what were you looking
16 at there?

17 A Okay. It involved gas treatment system. We asked for a
18 clear analysis as to how they determined the cost per
19 ton.

20 Q It wasn't just gas -- can you look at that?

21 A And pressure rising off-gas with new compressor.

22 Q And what were your questions there?

23 A We asked for a clear analysis of how they determined the
24 cost per ton of these options and on what basis the
25 estimated values in the table they gave us were derived.

1 We also asked if the 7 percent interest rate used in the
2 calculations was outdated or not.

3 Q Okay. And question 13, what was that question looking
4 for?

5 A So I did my master's thesis on wet electrostatic
6 precipitators and I was surprised not to see that listed
7 as one of their control options, so I asked why they
8 didn't include it. I asked them to include it.

9 Q Question 15, what is that?

10 A Oh, yes. I wanted to know where their safety factor
11 came from and what are their emission factors.

12 Q And as part of what kind of analysis?

13 A It was a particulate matter BACT emission factor.

14 Q I think that's enough. I just wanted to give a sense of
15 questions you had asked. Are these the only questions
16 you asked BP?

17 A No. As you can see, there's a few other pages. Our
18 modelers also submitted some of these questions. These
19 are the questions we asked them formally as part of the
20 incompleteness letter, and we did have continued
21 correspondence during this time asking for
22 clarifications.

23 Q As part of your evaluation or your review of the permit
24 application, was the National Park Service required to
25 be involved in this permitting process?

1 A Yes, they were.

2 Q And why was that?

3 A Because for PSD projects, I think our WAC specifically
4 says we need to starting from the beginning -- actually,
5 the onus is on the applicant. We need to make sure the
6 applicant submits the application to the federal land
7 managers. I specifically remember working with Kyle
8 Heitkamp, giving him new updates of who those contacts
9 were and he did submit the application. So he'd been
10 involved from the beginning. Even before that time,
11 Kyle Heitkamp mentioned the pre-application meeting and,
12 yes, so they'd been involved early on. I believe that
13 was March of 2014.

14 Q Did the National Park Service provide an analysis as
15 part of the permitting development in this case?

16 A Any specific time frame or early on or later?

17 Q Whenever.

18 A Yes, they did.

19 Q Did you review that analysis?

20 A Yes, we did.

21 Q Did you reach any conclusions after reviewing the
22 National Park Service analysis?

23 A Yes, we did.

24 Q And what did you determine?

25 A We didn't agree with the overall adverse impact

1 determination, but as we cite in our technical support
2 document, we thought they were helpful comments and we
3 went back to BP and said we think you need to follow
4 FLAG more closely. I think the baseline was one issue
5 and others have mentioned it. Yeah, we looked at it,
6 reviewed it and went back to BP and said we would like
7 you to address some of these things.

8 Q So was a baseline the only question?

9 A The only concern?

10 Q Yes.

11 A No. There were issues of using capable of
12 accommodating, as I mentioned, in our technical support
13 document, that's a PSD concept, and we said shouldn't
14 use that for AQRVs.

15 Q Can you explain a little bit what capable of
16 accommodating means?

17 A Sure. PSD allows demand exclusions. It says you shall
18 exclude in the PSD regulations. Eric Hansen mentioned
19 CFR 52.21 allows the applicant to exclude emissions that
20 they could have accommodated and have documented at some
21 point that they could operate at that level for at least
22 30 days, and if they're not using those emissions, you
23 can exclude them as part of this provision, and they did
24 so. And we said that's fine for PSD applicability; for
25 AQRVs, we don't see that listed in the FLAG manual.

1 Q Could you turn to Joint Exhibit Number 2. That's in
2 that same binder you are in now. I believe you
3 testified that you asked BP to redo its analysis of
4 AQRVs; is that right?

5 A Yes.

6 Q Joint Exhibit Number 2, do you recognize this exhibit?

7 A Yes. This we refer to as the November supplemental.

8 Q Is this BP's revised AQRV analysis?

9 A Yes, it is.

10 Q Did you review this analysis?

11 A Yes, we did.

12 Q Did BP change the baseline that you asked them to do?

13 A They did.

14 Q And did they change anything else?

15 A Yes, they did.

16 Q What else did they change?

17 A These numbers no longer include capable of accommodating
18 demand exclusion numbers just as we asked them.

19 Q Is there anything else that is different in this?

20 A Yes. They also asked for a lower limit than they had
21 initially asked for for SO2 from 40 pounds per hour to
22 37 pounds per hour.

23 Q Does the permit that was issued reflect that change?

24 A Yes, it does.

25 Q Okay. So I want to turn to in the same exhibit, page 9,

1 which is JE000309, and I want to look at Table 3.

2 A Okay.

3 Q So can you describe what that is?

4 A This is their, I call it, revised Q/d analysis, and we
5 see with this new revision, their Q/d values are still
6 less than 10.

7 Q So we've heard a lot about Q/d, and I hesitate to ask
8 you to explain once more what Q/d is, but I wonder if
9 you would.

10 A Sure. It's addressed on page 18, the bottom right side
11 of the page in the FLAG manual where it described the
12 four pollutants you should sum up, Q them up. They are
13 sulfur dioxide, nitrogen oxide, butane and sulfuric
14 acid. And you take that Q value, and it's described as
15 the -- specifically described based on a maximum 24-hour
16 values, talking about the coker heaters. And then the
17 distance, "d" represents distance, as we mentioned
18 earlier, to the closest Class I area, 78 kilometers at
19 Olympic National Park, and 102 and the rest of them have
20 a farther distance, but if you divide the Q value by the
21 "d" value, every one of them is less than 10.

22 Q I am going to stop you because you're going on a bit.
23 You mention the FLAG guidance at page 18. I want to
24 turn to that. So that's JE-11, page 18, which is
25 JE001141.

1 A Okay.

2 Q So you were talking about, I believe, how the guidance
3 here talks about how to calculate Q/d ; is that correct?

4 A That's right.

5 Q And so, again, what were the pollutants involved?

6 A They are listed here, SO₂, NO_x, particulate matter 10
7 microns or less, and sulfuric acid.

8 Q And what are you looking at about those emissions, about
9 those pollutants?

10 A According to FLAG?

11 Q Yes.

12 A You look at their annual emissions in tons per year
13 based on their 24-hour maximum allowable emissions.

14 Q Okay. And so that's Q?

15 A That's Q.

16 Q And what is "d"?

17 A "d" is the distance in kilometers from the Class I area.

18 Q And what does this say about Q/d ?

19 A It says if the distance to that Class I area is 10 or
20 less, the agencies would not request any further Class I
21 AQRV impact analysis from such sources.

22 Q Okay. You said if the distance is 10 or less?

23 A If Q/d is 10 or less.

24 Q So did BP follow this guidance in its November 2016 Q/d
25 analysis?

1 A Yes.

2 Q So I want to go back to JE-2, page 5.

3 A Okay.

4 Q I believe on page 5 they talk about the updated
5 screening procedure. Do you see that?

6 A Yes.

7 Q So what did they say they did? What did BP say it did?

8 A Sure. So they say, "The modeling protocol for the PSD
9 permit application presented a Q/d screening analysis
10 that indicated further evaluation of AQRV was not
11 warranted," and then they provide a table showing the
12 results.

13 Q All right. I think it refers to adjusted annual
14 emissions, updated Q/d from coker heaters adjusted to
15 annual emissions. Do you know what that means?

16 A Yes.

17 Q What is that?

18 A So it's based on a maximum 24-hour emission rate, so
19 that's the starting point, and FLAG says to use annual,
20 and so you adjust it to the annual emissions.

21 Q By multiplying times --

22 A That's correct, you adjust them up to figure out the
23 hours in a year, and you want to use tons also.

24 Q So you convert pounds per day into pounds per year?

25 A That's correct.

1 Q So NPCA said BP did not include all the relevant
2 emissions to calculate Q/d. Can you explain what
3 emissions NPCA thinks BP should have included?

4 A The term we have used, affected units.

5 Q Okay. So emissions from the affected units?

6 A I'm sorry, the emissions from the affected units.

7 Q Will the 24-hour emissions from those units increase?

8 A No, they will not.

9 Q So should their annual emission increase be included in
10 the Q/d analysis?

11 A No, because they're based on 24-hour maximum level
12 emissions.

13 Q The Q/d analysis is based on that?

14 A That's correct.

15 Q So turn to, I think you already said this, but turn to
16 page 9, Table 5.

17 A Okay.

18 Q The updated Q/d summary, and what does that show?

19 A So, yes, as I mentioned earlier, it shows results -- let
20 me back up a little bit. Shows Class I areas, lists
21 them out, what each Class I area is, the distance to
22 each Class I area, and then the Q/d values with new
23 cokers only, and then if they also take credit for the
24 removal of the existing heaters, which they will be
25 removed, this table also shows the Q/d results of that

1 calculation also.

2 Q Okay. So did you do a Q/d analysis on your own or to
3 supplement this one?

4 A Recently we did. We try to accommodate the question we
5 don't think you should do it this way, but even if you
6 take a step down that road, we still see Q/d values less
7 than 10.

8 Q I wonder if you could turn to Ecology Exhibit Number 5.

9 A Okay.

10 Q So do you recognize this document?

11 A Yes, I do.

12 Q What is it?

13 A So this is extracted from BP's November supplement,
14 Table 2, which they used for long-term AQRV analysis for
15 deposition.

16 Q Before you get into too much detail, just tell me
17 generally what this is.

18 A Sure. This lists those pollutants we just mentioned for
19 Q/d analysis for both the coker heaters and the affected
20 units.

21 Q So is this the Q/d analysis that you performed?

22 A Yes.

23 Q Thank you. So now did you do the Q/d analysis, the
24 calculations on this page?

25 A Yes.

1 Q Now you can get into detail about what this document
2 shows.

3 A Okay. At the top are the coker heaters, the only units
4 that have maximum 24-hour level increases, so potential
5 to emit and appropriate. For the rest of the affected
6 units, we added the increase due to the project and
7 added up the four pollutants I mentioned. We added that
8 fourth pollutant on the right side of the page because
9 this table was used for something else by BP which does
10 not need sulfuric acid. So we added sulfuric acid and
11 came up with the sulfuric acid number, we used the ratio
12 from their application. We even looked at it from a
13 more conservative approach of how much sulfuric acid is
14 used. Summed them up, divided it up by the closest
15 Class I area, which is that 78 kilometers from the
16 facility and we still see numbers less than 10.

17 Q So I want to point you to the farthest left-hand column,
18 down toward the bottom. Do you see the row that says
19 "notes"?

20 A Yes.

21 Q And then it says asterisk star Q equals.

22 A Yes.

23 Q What is that?

24 A So the number there is 589.8. That is the sum of the
25 green boxes, four green boxes, in this chart.

1 Q Okay. And what is the one below it which has two stars
2 and Q?

3 A Just looking at sulfuric acid for a more conservative
4 overestimated point of view, assuming up to 20 percent
5 of all the SO₂, assuming sulfuric acid represents 20
6 percent of the SO₂ for all those other units, which we
7 have no indication that it does, but just like to be
8 conservative, overestimate, and that number, 605.7, is
9 the sum, using that higher estimated sulfuric acid
10 number.

11 Q So you said, I think, a minute ago that you provided the
12 h₂so₄ numbers; is that right?

13 A Yes.

14 Q And where do they come from?

15 A Like I said, they came from the application. We used a
16 ratio of what the application showed sulfuric acid was
17 to SO₂.

18 Q In other words, you're saying if you have got a certain
19 amount of SO₂ emissions, then you'll also have a certain
20 amount of h₂so₄ emissions?

21 A That's the way it's presented in the application, in
22 those ratios.

23 Q And it would be a certain fraction, the amount of h₂so₄
24 would be a certain fraction of SO₂?

25 A Yes.

1 Q So you've come up with a range of -- you've got a high
2 and a low range for Q; is that right?

3 A Yes.

4 Q And so then you have the nearest "d." Do you know what
5 national park that is?

6 A North Cascades.

7 Q And then you have two different Q/d values; is that
8 right?

9 A Yes.

10 Q A high and a low. And what are those?

11 A The lower one is 7.6 and higher one is 7.8.

12 Q So what were you trying to show with this document?

13 A So we believe BP did it right and what I just did was an
14 incorrect way to do it, but trying to accommodate and
15 look at a reasonable approach that if you're going to
16 include the affected units, you should look at just the
17 increases from those units, not -- if you want to look
18 at the annual emissions from those units, you look at
19 the actual annual emissions, not invented 24-hour
20 increases which don't exist. And this is the highest
21 value that we could find, using the most conservative
22 overestimated method, and it was still less than 10.

23 Q Thank you. So in paragraph 22 of his prefiled
24 testimony, Mr. Gebhart says Q/d is irrelevant for BP's
25 project because the two affected national parks are

1 already impacted by emissions. Do you agree?

2 A Could you repeat the first part.

3 Q So in paragraph 22 of Mr. Gebhart's prefiled testimony,
4 he said that Q/d is irrelevant here because the two
5 national parks are already impacted by emissions. Do
6 you agree with that?

7 A No, I don't.

8 Q And why not?

9 A There is nothing in FLAG that says a facility that
10 already has impacts cannot use Q/d.

11 Q In your experience, have Q/d analyses been used to
12 screen out projects from other facilities that impact
13 Class I areas?

14 A Yes.

15 Q Could you describe them?

16 A Sure. Concurrently with this permit, I also prepared a
17 Tesoro Refinery clean products upgrade project, and they
18 also used Q/d and screened out -- and they did not do
19 visibility and deposition analysis, they just stopped
20 after Q/d showed that the value was less than 10.

21 Q Thank you. In the BP permitting process, did you get
22 any feedback from any federal land managers that Q/d was
23 relevant?

24 A Yes, we did.

25 Q So what did you get?

1 A We got an email from one of the federal land managers
2 sent to our modeler, saying that as long as -- this is
3 with respect to the coker heater replacement project --
4 said as long as Q/d is less than 10, I believe his exact
5 words were we have no further concerns, or something
6 along those lines.

7 Q Can you turn to Ecology Exhibit Number 7.

8 A Okay.

9 Q Can you describe this document?

10 A Sure. This is the email I just referred to a minute
11 ago.

12 Q And who is it from?

13 A It's from Rick Graw. I believe he's former Forest
14 Service federal land manager. I think he's still
15 involved somewhat, although, James Miller is currently
16 the Forest Service contact for us. And it's an email to
17 Clint Bowman at Department of Ecology, who has since
18 retired. And it says -- well, let me give you the date.
19 This is Monday, the 24th of March, 2014. And Mr. Rick
20 Graw from FLMS says, "If all the Q/ds remain less than
21 10, I have no comments."

22 Q This is the email that you were referring to a minute
23 ago that Ecology got?

24 A Yes.

25 Q Okay. I want to turn to Ecology Exhibit R-6.

1 A Okay.

2 Q Do you recognize this document?

3 A Yes.

4 Q So what is this?

5 A This is the March 2014 application from BP to Ecology
6 that I referred to earlier.

7 Q What part of the application is it?

8 A Oh, okay, I'm sorry, this is two years before then.
9 This is the modeling protocol. It's not the
10 application, it's the modeling protocol submitted prior
11 to the March application.

12 Q What did BP do with this document? What was the purpose
13 of this document?

14 A We had pre-application meetings for all of our PSD
15 projects that we considered very important. We give
16 twice the amount of time for PSD major projects
17 pre-application meetings than we do for minor NSR
18 projects. We want to make sure everyone is on the same
19 page, save time, and that was the purpose for this
20 pre-application meeting. Even prior to the meeting,
21 this document was being sent to our modelers and
22 correspondence had already begun even before Marc Crooks
23 and I were involved in this project.

24 Q And so this modeling protocol, what was it used for,
25 what was it designed for?

1 A Like I said, we want to make sure everyone is on the
2 same page, that the approach to the modeling that BP was
3 proposing to use would be agreed upon or if there was
4 any questions, they could be sorted out at that time.

5 Q I want to turn to page 18 of this document.

6 A Okay.

7 Q So does this document explain the emissions that BP was
8 going to include in its modeling analysis for the AQRV
9 analysis?

10 A Yes.

11 Q And could you look at the first paragraph on page 18.
12 Does that describe what those emissions were going to
13 be?

14 A So the top of page 18 describes their preliminary Q/d
15 analysis, and they described how they came about coming
16 up with these values, and they provide the results in a
17 table, which showed that Q/d value is less than 10 even
18 for that closest national park, North Cascades, and the
19 value showed a Q/d value of 7.

20 Q So going back up to the paragraph above the table, what
21 does it say about the emissions that BP was going to
22 model?

23 A Starting from --

24 Q Just take your time and read the paragraph so you can
25 refresh your memory about what it says there.

1 A Sure. So it's written here at the top of page 18, it
2 says, "Table 4 lists the approximate distance between
3 the site and the Class I areas as well as the Q/d total
4 emissions in tons per year divided by the distance in
5 kilometers. A preliminary net emission increase in Q is
6 based on the sum of the 24-hour NOx, SO2, PM10 and
7 sulfuric acid emissions from the two new cokers assuming
8 continuous operation 365 days a year. BP does not
9 expect an increase in short-term emissions from any
10 other emissions unit affected by the project."

11 Q Okay. So that describes how BP was going to calculate
12 the emissions that were going to be used in its modeling
13 protocol, right?

14 A Yeah.

15 MS. SHIREY: And so I would ask the
16 board to admit Ecology Exhibit 7 and 6.

17 MR. WISE: Any objections?

18 MS. BRIMMER: No objection.

19 MR. WISE: Ecology Exhibit 6 and 7 are
20 admitted.

21 (R-ECY-6 & R-ECY-7 admitted.)

22 Q (By Ms. Shirey): So once BP had done the Q/d analysis,
23 were they required to do anything more?

24 A In regards to AQRV? No, they were not.

25 Q Did BP do anything more?

1 A Yes, they did.

2 Q What did they do?

3 A They did a full-blown analysis of its ability comparing
4 to the FLAG thresholds and a full-blown AQRV modeling
5 analysis of deposition and compared it to the deposition
6 thresholds also listed in FLAG.

7 Q And for the sake of time, I'm not going to walk through
8 all that, but what did they find; do you remember in
9 general what they found?

10 A Sure. In general, they found that for visibility, the
11 project's impacts would be less than the visibility
12 thresholds listed in FLAG, and, similarly, for
13 deposition, for both sulfur and nitrogen, the deposition
14 values after modeling showed results less than the DAT,
15 which is the deposition thresholds listed in FLAG.

16 Q And a few moments ago, you said that you asked BP to
17 redo its analysis. I think we actually covered all of
18 that.

19 So in paragraph 107 of his prefiled testimony,
20 Mr. Gebhart said the net emissions increase BP used for
21 the deposition analysis in the November supplement is
22 wrong because it compares future projected emissions to
23 past actual emissions instead of comparing the maximum
24 allowable future emissions to past actual emissions.
25 Is that consistent with what you understand

1 Mr. Gebhart's position to be?

2 A With regards to deposition, yes.

3 Q So do you agree that BP used future projected emissions
4 rather than maximum allowable future emissions for the
5 deposition analysis?

6 A Yes.

7 Q Do you think that this is a wrong approach?

8 A No, I do not.

9 Q Why not?

10 A Because there are no maximum level increases.

11 Q And so what do you mean by that?

12 A They're not increasing their 24-hour maximum increases.

13 Furthermore, FLAG doesn't really get into how to do a
14 deposition analysis. I think BP's approach, their
15 consultant's approach, makes total sense to look at the
16 actual emissions. When you look at a new or modified
17 source, you want to look at its emissions. FLAG is
18 consistent with that. Page 21 of FLAG at the top of the
19 third paragraph on the left-hand side of the page, it
20 says exactly that, that for new or modified sources, you
21 look at its emissions. And new source review, that
22 implied increases, its emission increases. Since it has
23 no 24-hour emission increases, you don't have anything
24 to work with.

25 Q So the units that were added through the deposition

1 analysis in addition to the coker heater emissions -- in
2 addition to coker heaters, the deposition analysis
3 looked at a number of other units; is that correct?

4 A Yes.

5 Q Were those modified units?

6 A No.

7 Q And so I think what you were saying just now was that --
8 so does FLAG, say, have a deal with units that are not
9 modified?

10 A It does not.

11 Q In paragraph 70 of Mr. Gebhart's prefiled testimony, he
12 says that the updated November analysis was incorrect
13 because it doesn't look at emission increases from all
14 of the affected units. First of all, what are the
15 affected units?

16 A All the units that experience increased utilization due
17 to this project, which will be everything else listed in
18 the application, all the other units except the coker
19 heaters.

20 Q Were those modified units?

21 A No.

22 Q So do you agree that BP's analysis, I'm talking
23 visibility now, do you agree that BP's visibility
24 analysis does not look at emission increases from all
25 the affected emission units?

1 A That's correct.

2 Q Do you agree with Mr. Gebhart that BP's method was
3 incorrect?

4 A No, I do not.

5 Q Why not?

6 A As I said, there's no maximum 24-hour increases from the
7 affected units, and that's the criteria, that's the box
8 you have to check for visibility.

9 Q So in paragraph 73 of his prefiled testimony,
10 Mr. Gebhart says that in order to eliminate the affected
11 units, BP, in effect, subtracted the present maximum
12 allowable 24-hour emissions from those units from the
13 future maximum allowable 24-hour emissions from those
14 units, which comes to zero, because those emission
15 limits have not been changed. Do you agree with that
16 characterization of what BP did?

17 A And this is with respect to visibility?

18 Q Visibility.

19 A I see BP not including the affected units because they
20 have no 24-hour increases, end of story; they just don't
21 have them.

22 Q In paragraphs 48 and 75 of his prefiled testimony,
23 Mr. Gebhart says that the FLAG guidance on page 24,
24 Footnote 6, which I think we've heard of already, that
25 that governs how BP should have calculated the net

1 emissions increase. So why don't we turn to that,
2 Exhibit JE-11. So page 24, which is JE001147.

3 A Okay.

4 Q So what does Footnote 6 have to say?

5 A Footnote 6. "Note that this is different from the
6 emission change calculation used for short-term
7 increment, which is calculated as the maximum allowable
8 24-hour average minus the highest occurrence over the
9 past two years."

10 Q What is that footnote referring back to?

11 A About halfway up the page, it's just above the
12 paragraph, the heading "Model Receptor Grid," describing
13 emissions input for visibility analysis.

14 Q And that paragraph talks about what applicants must do
15 to calculate the 24-hour average net emissions increase,
16 right?

17 A Yes.

18 Q And what does it say to do?

19 A "Applicant should calculate the 24-hour average net
20 emission increase for each pollutant from modified
21 facilities as the maximum allowable 24-hour average
22 minus the actual hourly rate averaged over the past two
23 years." In parenthesis "Annual emissions over past two
24 years divided by hours of operation over last two
25 years."

1 Q So Mr. Gebhart says that Footnote 6 says you can't
2 subtract maximum past emissions from maximum future
3 emissions to get the net emissions increase. Do you
4 agree with Mr. Gebhart?

5 A Is he quoting Footnote 6 or is he saying BP did not
6 follow Footnote 6?

7 Q He's saying -- well, he is saying that you can't
8 subtract the maximum past emissions from the maximum
9 future emissions, and I'm wondering -- I guess the first
10 question is, is that what Footnote 6 says?

11 A No. Footnote 6 talks about -- what they're asking here
12 is different from calculating maximum allowable 24-hour
13 average minus the highest occurrence over the past year.

14 Q So in that same paragraph he said that -- in the
15 previous paragraph I mentioned, which was paragraphs 48
16 and 75, he said that BP made a mistake in its visibility
17 analysis because, in effect, it subtracted the maximum
18 past emissions from the maximum future emissions to get
19 the net emissions increase. Do you agree that that's
20 what BP did?

21 A No. After we've established that visibility is just for
22 the units with short-term emission increases, we are
23 down to the coker heaters, and for NOx, for example, you
24 can see their maximum allowable limit is 18.2 pounds per
25 hour for each heater, and what they subtracted was not

1 the maximum over the last two years, but they took their
2 facility average of 2014 and 2015, which came to about
3 16 pounds per hour, or 8 pounds per hour per year, as
4 they show in Table 1 of their November submittal.

5 Q So that's what they did for the coker heaters. What did
6 they do for the rest of the units?

7 A For visibility, as we mentioned earlier, there are no
8 24-hour maximum emission increases, so they didn't have
9 to do anything and they didn't.

10 Q In paragraph 124 of Mr. Gebhart's prefiled testimony, he
11 says that the National Park Service named five projects
12 that used the approach he is advocating for looking at
13 emissions from a project that impacted federal Class I
14 areas, and he cited to Joint Exhibit 7, so I want to
15 turn to Joint Exhibit 7 at JE000991.

16 MR. WISE: Ms. Shirey, when you come
17 to a stopping place, we'll take our afternoon break.

18 MS. SHIREY: Okay.

19 MR. WISE: Do you have any idea how
20 much longer that will be?

21 MS. SHIREY: I can wait until we get
22 off the AQRV questions and on to BACT, or I can stop in
23 the middle of the AQRV questions pretty quickly here.
24 Which would you prefer?

25 MR. WISE: Probably need to stop

1 sooner rather than later.

2 MS. SHIREY: Okay. So I will just ask
3 this one question and then we can stop.

4 Q (By Ms. Shirey): So Joint Exhibit 7 --

5 A Okay.

6 Q -- page 991. So Mr. Gebhart cites to this page and he
7 cites to Footnote 37. Do you see that?

8 A Okay.

9 Q I need to find it now. So what does Footnote 37 do
10 there?

11 A It lists some facilities.

12 Q And what does Footnote 37 refer back to?

13 A Looks like the second-to-the-last paragraph.

14 Q And what does that sentence talk about?

15 A It says, "It is also helpful to consider how modified
16 sources have been addressed elsewhere. A review of
17 National Park Service files found five examples where we
18 had requested that state permitting authorities evaluate
19 the entire source."

20 Q Okay. So presumably Footnote 37 is listing those five
21 sources?

22 A Yes.

23 Q Mr. Gebhart, I believe, testified in response to a
24 question I asked, that he did not provide any
25 information about those five sources. Do you know, did

1 National Park Service provide any information about
2 those five sources?

3 A I don't recall.

4 Q Meaning you don't remember at all or you don't remember
5 seeing anything?

6 A We've had some correspondence with the Park Service. I
7 don't recall these facilities.

8 Q Can you tell from the information that you were just
9 looking at anything about the five projects, why they
10 might have been asked to model emissions from the entire
11 facility?

12 A I don't know.

13 Q Okay. That's it for now.

14 MR. WISE: Thank you. We'll take a
15 15-minute break, come back at 3:15, and we'll continue.

16 (Recess from 3:00 p.m. to 3:15 p.m.)

17 MR. WISE: Please be seated. Counsel,
18 I just had a procedural question to start with.
19 Mr. Huitsing has been named as a witness by both NPCA
20 and Ecology, and I'm just trying to figure out the most
21 efficient way to do that. Here's kind of what I'm
22 thinking. Ms. Shirey finishes her direct, then
23 Ms. Brimmer comes up and asks whatever questions she
24 wants, and then we just sort of do it in tandem and work
25 our way through this. What do you think of that?

1 MS. BRIMMER: I think I can make it
2 even easier for you. I'll forego any direct examination
3 of Mr. Huitsing and I'll just rely on cross.

4 MR. WISE: Okay. You will just treat
5 him like an adverse witness and start the cross.

6 MS. BRIMMER: That's okay with me.

7 MR. WISE: Okay. Well, we can just do
8 that then. And I didn't want to do two sequences.

9 MS. BRIMMER: I agree. That doesn't
10 make sense.

11 MR. WISE: Thank you very much.
12 Proceed, Ms. Shirey.

13 MS. SHIREY: The first thing I would
14 like to do is ask for the admission of Ecology Exhibit
15 Number 5, which is a document we just looked at and
16 contains Gary's Q/d analysis.

17 MR. WISE: Any objections?

18 MS. BRIMMER: No objection, Your
19 Honor.

20 MR. WISE: Ecology Exhibit Number 5 is
21 admitted.

22 (R-ECY-5 admitted.)

23 Q (By Ms. Shirey): I wonder if you could turn to Exhibit
24 P-7.

25 A Okay.

1 Q Do you recognize this exhibit?

2 A Yes, I do.

3 Q And so what is it?

4 A FLAG Response to Public Comments on Revised Phase 1
5 Report, dated 2010.

6 Q Turn to page 2, the portion of the document under
7 Section 2.11, Net Emissions Increase Calculation.

8 A Okay.

9 Q So do you know what this is about?

10 A There is a comment about commenters objecting to the
11 federal land manager approach of calculating net
12 emission increases for modified facilities.

13 Q And what is the response to that comment?

14 A Would you like me to read it?

15 Q I'm fine with you reading it, but if you can summarize
16 it, that would be fine, although, I understand if you
17 can't because it's very term intensive.

18 A I'll read it. So the response is, "FLAG advises
19 applicants to calculate the 24-hour average net emission
20 increase for each pollutant from modified facilities as
21 a maximum allowable 24-hour average minus the actual
22 hourly rate averaged over the past two years, annual
23 emissions over past two years divided by hours of
24 operation over the last two years. We recognize that
25 this approach is different from the emission change

1 calculation used for a short-term increment, which is
2 calculated as the maximum allowable 24-hour average
3 minus the highest occurrence over the past two years.
4 The reason for the differing approaches is so that FLMs
5 can better assess the impacts of modified sources on
6 AQRVs especially in a situation where a source does not
7 increase its maximum emissions but increases its annual
8 capacity factor by operating more days throughout the
9 year. By operating more days per year, such a modified
10 source could potentially impact visibility on more days
11 of the year."

12 Q So does this response say anything about which emission
13 units to use in the analysis?

14 A It says FLAG advises to use a maximum allowable 24-hour
15 average.

16 Q From which emission units, or does it say?

17 A Oh, from modified facilities, it says.

18 Q Okay. How does this document or this response, in your
19 opinion, apply to the BP coker heater situation?

20 A So I see two things here that seem clear. It's clearly
21 talking about visibility, that's in the last sentence,
22 so, once again, we go to FLAG's guidance on describing
23 visibility, and we know FLAG was meant primarily but not
24 solely for new source review, so we are talking about
25 emission increases. And so we have already described

1 that only units that have short-term emission increases
2 should be used in a visibility analysis. And what's
3 also clear here is that because they are talking about
4 visibility, there appears to be a contradiction. The
5 second-to-the-last sentence, it says, "The reason for
6 the differing approaches is so that the FLMs can better
7 assess the impacts of modified sources on AQRVs
8 especially in a situation where a source does not
9 increase its maximum emissions." So I stop there, and
10 to substitution, we already know that if a source's
11 maximum emission increases, should look at visibility,
12 and if it does not, don't. So in this situation, saying
13 where a source does not have visibility impacts, we are
14 going to try a way to look at them anyway, which may
15 give them some information on a yearly basis, but it's
16 contradictory to FLAG, as we looked through earlier,
17 describing visibility impacts based on 24-hour maximum
18 allowable emissions.

19 Q Did you have any other thoughts about that or is that
20 about it?

21 A Yeah. The person from FLM who wrote this response
22 lacked some clarity on what maybe they meant to say, but
23 it has that contradiction there.

24 Q Are there any other incongruities?

25 A Possibly. I don't see them right now.

1 Q Okay. So did federal land managers have concerns about
2 the BP project?

3 A Yes, they did.

4 Q I want to turn to Joint Exhibit 6 at JE000950.

5 MS. BRIMMER: Can you repeat that
6 number?

7 MS. SHIREY: 000950.

8 MS. BRIMMER: Thank you.

9 Q (By Ms. Shirey): So what is this document?

10 A The JE000950 page?

11 Q Yes.

12 A That's enclosure from the National Park Service
13 entitled, National Park Service, NPS, Analysis of
14 Impacts to Air Quality Related Values for the British
15 Petroleum Cherry Point Refinery, Blaine, Washington,
16 dated December 12, 2016.

17 Q So did Ecology work with the federal land managers to
18 address these concerns?

19 A Yes, we did.

20 Q What did you do?

21 A Okay. This is one of the comments we received. I said
22 we received many comments during our public comment
23 period, which went from, I believe, November 14th
24 through December 16th of 2016. And on that last day of
25 that comment period, these comments were submitted from

1 the National Park Service, and we spent the next five
2 months addressing every comment we received, including
3 all of the ones included here from the National Park
4 Service, and our intent was to address them and we felt
5 like we eventually did.

6 Q Did you send the National Park Service Ecology's draft
7 response to comments?

8 A Yes, we did.

9 Q And then what did you do?

10 A Mark Kirk scheduled two conference calls, made room for
11 two conference calls in the event that maybe it would
12 take more than one conference call to work through these
13 issues. The first conference call, if I got the dates
14 right, was Monday, May 8th of 2017, and the second
15 conference call was scheduled for that Wednesday, May
16 10th.

17 Q And so did you have that first conference call?

18 A We did.

19 Q And what did you do on that call?

20 A So we talked through our responses to their comments.
21 Just to give you some context, we received about 134
22 comments for this project, and I think Earthjustice
23 comments were numbered 1 through 87, or something like
24 that, and from the Park Service, there was I believe
25 around 40 questions, so those would have been comments

1 87 to 140, something like that, and the remaining
2 comments were from the EPA. By this time we had already
3 worked through all the issues that the EPA had. We did
4 meet with the Park Service also to work through their
5 comments with them.

6 Q So what did the Park Service have to say on that first
7 conference call?

8 MS. BRIMMER: Objection. Hearsay.

9 MS. SHIREY: Well, the board's
10 standard for hearsay is that you will accept --

11 MR. WISE: That's okay, I know the
12 standard. I'm thinking since Mr. Huitsing was present
13 at the meeting, I'm going to allow it.

14 MS. SHIREY: All right.

15 A Would you restate the question.

16 Q (By Ms. Shirey): So what happened on that conference
17 call with the federal land managers?

18 A Okay. So we talked with the National Park Service and
19 we basically said, have you read our responses to your
20 comments, and they said, yes. And just talking with
21 Marc Crooks, we remembered language similar to the
22 Tesoro comment where there was a reference to addressing
23 issues to the regional haze program. And we offered to
24 meet again on that Wednesday, May 10th of 2016, and they
25 said that a second meeting was not necessary.

1 Q Okay. So you cancelled the second conference?

2 A We did, we did not have that.

3 Q Did Ecology document this response?

4 A We did.

5 Q Could you turn to Ecology Exhibit 3.

6 A Okay.

7 Q Do you recognize this document?

8 A Yes, I do.

9 Q Did you receive a copy of this document? Were you
10 copied on this letter?

11 A My name is not on here, but I did get an electronic
12 copy, too, yes, I did.

13 Q What is this document?

14 A So this is a letter written by Marc Crooks, the lead of
15 the PSD program at Department of Ecology, responding to
16 the adverse impact determination letter that came in on
17 that December 16, last day of the public comment period,
18 and Marc is addressing the Department of Interior, from
19 which the adverse impact determination came.

20 Q Could you tell us who Marc Crooks is.

21 A Sure. He's the lead of our PSD program at Department of
22 Ecology for all the PSD permits in the state of
23 Washington.

24 Q Okay. And so he wrote this letter to Department of the
25 Interior?

1 A Yeah.

2 Q And so does this letter describe the process that you
3 went through with the federal land managers?

4 A Yes, it does.

5 Q I think that's the paragraph at the top of page 2.

6 A Okay. Yes, that paragraph references the May 8th
7 conference call.

8 Q And does it say what the federal land managers did?

9 A Oh, yes, that's right, so I did forget that. So during
10 our conference call on May 8, towards the end of the
11 call -- oh, that's the second paragraph.

12 Q That's okay. Keep going.

13 A So, yes, we offered to organize a future conference call
14 later that week, as I mentioned, and the National Park
15 Service staff declined the second call but responded
16 that they would write a white paper on their issues and
17 concerns regarding air quality at Class I areas. And
18 the NPS requested that after their white paper had been
19 distributed, they would like to hold a conference call
20 to discuss their white paper. So Ecology, Marc Crooks,
21 invited EPA Region 10 air staff to participate and EPA
22 agreed to participate. And since then, we have not yet
23 received that white paper.

24 Q So you have not?

25 A No.

1 Q Have you had the conference call that was mentioned
2 here?

3 A We did not have that second conference call, no.

4 MS. SHIREY: I would ask to admit
5 Ecology Exhibit 3 into evidence.

6 MS. BRIMMER: No objection.

7 MS. POWER: No objection.

8 MR. WISE: Ecology Exhibit 3 is
9 admitted.

10 (R-ECY-3 admitted.)

11 Q (By Ms. Shirey): Did you receive any other
12 communication from the National Park Service that
13 influenced your thinking on this, on the National Park
14 Service's thoughts?

15 A Yes.

16 Q And what was that?

17 MS. BRIMMER: I just want to preserve
18 a hearsay objection to this.

19 MR. WISE: Noted.

20 MS. SHIREY: I'm sorry, objection to
21 what?

22 MS. BRIMMER: That he is about to talk
23 about what the National Park Service told him and I
24 wanted to make sure I had a continuing hearsay
25 objection.

1 Q (By Ms. Shirey): Could you turn to Ecology Exhibit 4.

2 A Okay.

3 Q Could you describe this exhibit?

4 A Sure. This is a letter from the United States
5 Department of Interior written to me, dated April 26,
6 2017.

7 Q And from the Department of Interior.

8 A From the, yeah, and it's listed under the heading, the
9 Department of Interior, specifically National Park
10 Service.

11 Q Did you receive this letter?

12 A I did.

13 Q What does this letter say that is relevant to your
14 thinking about the BP project?

15 A Like I said, it seemed similar to what we understood
16 from our May 8th conference call, and it seemed to be an
17 acknowledgment that their concerns for the facility as a
18 whole should be addressed through a regional progress
19 phase or, as they word it, of the regional haze rule.

20 Q Can you point to where the letter talks about that?

21 A Yes, I can. That would be on page 5 of the letter, it's
22 the second paragraph, or the largest paragraph on that
23 page, and this would be starting at the beginning of the
24 paragraph.

25 MS. SHIREY: I would ask the board if

1 we could admit Ecology Exhibit 4 into the record.

2 MR. WISE: Any objection?

3 MS. BRIMMER: No objection, Your
4 Honor.

5 MR. WISE: Ecology Exhibit 4 is
6 admitted.

7 (R-ECY-4 admitted.)

8 Q (By Ms. Shirey): So did the National Park Service or
9 Department of Interior file a formal finding of adverse
10 impacts with Ecology?

11 A My understanding is that the December 16 comment was
12 more than just a comment, it was also an adverse impact
13 determination.

14 Q To your knowledge, has the National Park Service changed
15 its opinion that the BP facility has adverse impacts on
16 North Cascades and Olympic National Parks?

17 A I have not heard they've changed their opinion on that.

18 Q So do you believe anything has changed about the
19 National Park Service's opinion?

20 A Yes, I do.

21 Q And what would that be?

22 A That the PSD program is a different route to address
23 facility-wide impacts than the regional haze rule or
24 program is, but they tried to use the PSD program to
25 attain their goals, and we pointed out to them that

1 that's not the proper route, to use PSD rules, as
2 applied to new source review.

3 Q And is it your understanding that they agreed with that?

4 A Yes.

5 Q Thank you. I want to go on to the BACT analysis for
6 nitrogen oxides. So as part of your review of the
7 permit application, did you review BP's analysis of BACT
8 for nitrogen oxide for the coker heater?

9 A Yes.

10 Q In reviewing that analysis, did you look at any other
11 facilities employing selective catalytic reduction for
12 coker heaters?

13 A Yes.

14 Q I want to turn to Exhibit JE-1, page 000133. I believe
15 there is a table on this page. What does this table
16 show?

17 A So, yes, there is a table. The heading of Table 1, NOx
18 and Carbon Monoxide BACT for Coker Heaters, and there is
19 a list of facilities and where they're from and what
20 they've used as BACT.

21 Q Are these some of the other facilities you considered?

22 A Yes.

23 Q So I want to take them in the order listed.

24 A I should qualify. Not what they used as BACT, but what
25 they consider as BACT and different technologies out

1 there.

2 Q So did any of these facilities use selective catalytic
3 reduction as BACT?

4 A Yes.

5 Q Which one?

6 A The first two on the list, Tesoro - Martinez and Shell -
7 Martinez, both in California. The third one is
8 pronounced as Total Refining, that would be Port Arthur,
9 Texas. The fourth one down on this list is Marathon
10 Garyville Refinery in Louisiana. And at the very bottom
11 is reference to the Flint Hill Resources - Pine Bend
12 facility in Minnesota.

13 Q Did these facilities -- they employed SCR, it looks
14 like; is that right?

15 A Yes.

16 Q Did they employ SCR as BACT?

17 A I believe one of them did. I forget how many. Some of
18 them employed SCR, as I understand it, for other reasons
19 than BACT.

20 Q Okay. I want to go down through these one at a time in
21 the order they're listed here. The first one is Tesoro
22 - Martinez. Was SCR required as BACT in the Tesoro -
23 Martinez facility?

24 A My understanding is that it was required under the LAER
25 program, the third new source review program after PSD

1 major program, minor program, and the non-attainment is
2 another new source review major program. And under
3 that, they are required to lowest achievable emission
4 rate technology and my understanding is that's why they
5 employed SCR.

6 Q Why would they have been required to use LAER?

7 A Because they are located in a non-attainment area.

8 Q How about Shell - Martinez?

9 A Same reason there.

10 Q So Shell used SCR as LAER?

11 A Yes.

12 Q Because they were in a non-attainment area?

13 A That's correct.

14 Q How about Total Refining, I guess it's Total Refining,
15 in Port Arthur, Texas.

16 A So at the time of their project construction, my
17 understanding is that they were in non-attainment for
18 ozone and so similar situation, using -- let's see, 2008
19 or '10 -- if you look at the EPA website of
20 non-attainment areas and the times they were considered
21 non-attainment, the start of that project coincides with
22 the time period that they were still in non-attainment
23 for, I believe, ozone.

24 Q And how about the Marathon - Garyville, Louisiana
25 facility, was SCR required as BACT?

1 A So it's listed as a technology used at the facility, but
2 specifically -- well, says that could have been rejected
3 as BACT due to its cost economic impact analysis.

4 Q Could you turn to Ecology Exhibit Number 10.

5 A Okay.

6 Q Do you recognize this document?

7 A Yes.

8 Q What is it?

9 A So this is from the Department of Environmental Quality,
10 State of Louisiana. It's with respect to PSD permit and
11 this is a cover letter of the permit itself for that
12 facility.

13 Q Does it say anything about the cost for BACT for SCR in
14 this letter?

15 A It does.

16 Q Where is that?

17 A Second page of the exhibit, I guess it's listed as page
18 5 and I guess the fourth paragraph from the bottom of
19 the page, it discusses that the facility is voluntarily
20 installing selective catalytic reduction in addition to
21 ultra-low NOx burners, and it goes on to talk about some
22 other equipment. And then it says at the last sentence
23 of this paragraph, it says, SCRs could have been
24 rejected on the basis of economical infeasibility, and
25 then provided a range of \$10,000 to \$73,000 per ton of

1 NOx reduced based on heater size.

2 MS. SHIREY: So I ask the board to
3 admit Ecology Exhibit 10 into evidence.

4 MR. WISE: Any objection?

5 MS. BRIMMER: No objection.

6 MR. WISE: Exhibit 10 is admitted.

7 (R-ECY-10 admitted.)

8 Q (By Ms. Shirey): So the next facility on the list in
9 this table on JE000133 I believe is Flint Hills,
10 Minnesota. What can you tell me about Flint Hills,
11 Minnesota?

12 A They have installed SCR on their coker heater and I
13 tried to find a cost analysis for this facility. I
14 personally called up, found the engineer's name, but I
15 don't recall at the moment, and I called him up on the
16 telephone and I asked him if a cost analysis had been
17 done, and he was not aware of one.

18 Q So, first of all, is there one project or two?

19 A I believe this was the second project. There were two
20 projects. The second one, I believe, is this one.

21 Q Was SCR required as BACT for either of those projects?

22 A Yes, they list it as BACT, but as I said, apparently no
23 cost analysis.

24 Q How about the first project?

25 A I'm not sure if the first project had been started yet

1 at the time of this application, I don't know.

2 Q So there were two projects?

3 A I don't know if the second one had been started.

4 Q So which of the two projects were you discussing just
5 now?

6 A I understood it to be the second one. The numbering
7 system is a little confusing from their website, but
8 talking to the permit engineer, I could be wrong, but,
9 anyway, they didn't have a cost analysis.

10 Q Did you look at any other facilities?

11 A Yes.

12 Q Do you know which other ones you looked at?

13 A There was one in Arizona, I believe one in North Dakota,
14 I believe an Indiana facility, and I might be missing
15 one.

16 Q So I'd ask you to turn to Ecology Exhibit 11. Do you
17 recognize this document?

18 A Yes, I do.

19 Q What is this document?

20 A So I mentioned a North Dakota facility and this is a
21 great support document for that facility called the
22 Davis Refinery in Billings County, North Dakota.

23 Q And does it say anything about installing SCR?

24 A My recollection of looking at this was that whatever
25 controls they had planned, coker heaters were not listed

1 as the units that they planned to install. As far as
2 SCR, I don't know if -- all I know is they didn't have
3 any plans to put in a coker unit is what sticks out for
4 me for this facility.

5 Q Was this a PSD permit application?

6 A Oh, it's a minor, yeah, so they were a synthetic minor
7 trying to get out of major permitting.

8 Q So I wonder if you'd turn -- I think that's where you
9 are. Are you at page 4 of this?

10 A Yes.

11 Q And if you look at the last sentence of the last
12 paragraph, what does that say?

13 MS. BRIMMER: I'm sorry, which one is
14 page 4? Is it sheet 4 at the top?

15 THE WITNESS: Yeah, I wasn't sure
16 either.

17 MS. SHIREY: I'm sorry, I'm sorry.
18 That's my fault. The bottom of the page says page 4 of
19 8 under Ecology. No wonder you don't know what I'm
20 talking about. It's the fourth page if you count the
21 pages.

22 MS. BRIMMER: Do you start with this
23 one as 1?

24 MS. SHIREY: Yeah.

25 A And could you repeat the question.

1 Q (By Ms. Shirey): So the last paragraph on that page,
2 the last sentence, what does that say?

3 A "Since formal BACT analysis is not required, analysis
4 for energy, environment and economic impacts was not
5 conducted for proposed emission controls."

6 Q So what does that mean in terms of cost analysis?

7 A So a cost analysis was not prepared.

8 MS. SHIREY: I'd ask the board to
9 admit Ecology Exhibit 11.

10 MR. WISE: Any objections?

11 MS. BRIMMER: No objection.

12 MR. WISE: Ecology Exhibit 11 is
13 admitted.

14 (R-ECY-11 admitted.)

15 Q (By Ms. Shirey): Would you turn to Ecology Exhibit 12.

16 A Okay.

17 Q And what is this document?

18 A This is a technical support document and statement of
19 basis for construction of a facility in Arizona called
20 Arizona Clean Fuels Yuma, LLC, Petroleum Refinery, dated
21 September of 2006.

22 Q What can you tell me about this project?

23 A My understanding, I believe still to be true, to date it
24 has not been built.

25 Q Is there anything else you can tell me?

1 A My understanding is that the facility has not been
2 built. It's as if the permit never existed, I've heard
3 that language mentioned by others, but in any case, it
4 was not built.

5 Q Were they implementing SCR on the coker heaters?

6 A I believe that was in the permit, yes.

7 Q So if you'd turn to page 170 of 347.

8 A Okay.

9 Q And there is a table on that page. Do you see that?

10 A Yes.

11 Q And does that table include delayed coking unit charge
12 heaters?

13 A Yes, the last row in that table.

14 Q So can you tell me what the NOx emission controls BACT
15 was going to be for these units?

16 A So they list a limit of .030 pounds of NOx per million
17 BTU heat input.

18 Q And does the discussion of this say anything about what
19 that means in terms of emission controls?

20 A I don't see that here unless I'm missing it. Well,
21 okay, here it is. Yeah, low Nox burners.

22 Q Where do you see that?

23 A That would be the paragraph above the table.

24 Q And where are you looking in that paragraph?

25 A The first sentence of the second paragraph.

1 Q So looks like they were not going to be implementing
2 selective catalytic reduction on the coker heaters.

3 A I don't see it listed here. The previous page discusses
4 SCR, but it's not on this page here, you're right.

5 Q So what was BACT for the delayed coking units here, the
6 heaters?

7 A So I'll need to go back to the previous page. Are you
8 still on 170 or can I go to 169?

9 Q You can go to 169, you can go wherever you need to.

10 A And would you repeat the question, please.

11 Q What was required as BACT for the coker heaters on this
12 project?

13 A Okay. "The department agrees that the permittee's
14 proposal generally represents BACT for NOx emissions for
15 these process heaters," and they go on to describe SCR
16 and a provision for conducting SCR performance
17 demonstrations study, which tells me that they didn't
18 know if it could be demonstrated for this facility, in
19 which case, the facility was never built, so it wasn't
20 demonstrated.

21 Q Is that discussion talking about the -- I'm just going
22 to skip over this one for now. Sounds like you haven't
23 looked at this in awhile, so --

24 A So we wrote this one off early when we found out that
25 the facility was never built. You're done then, don't

1 need to consider a facility that wasn't built. So, no,
2 I admit I didn't spend a lot of time evaluating this
3 nonexistent facility.

4 Q All right. You said you also looked at the BP Whiting
5 facility. What did you find out about that?

6 A I have to make sure I get my facilities right. I
7 believe that's the one in Indiana, in a non-attainment
8 area, near Gary, Indiana, in Lake County, northwest
9 corner of the state, and that's a non-attainment area,
10 so they used LAER, they were required to use LAER there.

11 Q Would you turn to Ecology Exhibit 13.

12 A Yes.

13 Q So do you recognize this document?

14 A Yes, I do.

15 Q What is it this?

16 A So this is a document I found researching this facility
17 going to the state of Indiana is where I found it,
18 Indiana Department of Environmental Management, and it
19 shows the non-attainment areas in the state, and as you
20 can see in the top left corner are two counties, one of
21 which is Lake County, which is where the Whiting
22 facility is located, and the bottom of this page it
23 explains that it is in fact a non-attainment area for
24 eight-hour ozone standard.

25 Q And what does that mean in terms of nitrogen oxide

1 emissions?

2 A So they require to employ, in a project that triggers
3 non-attainment threshold, they're required to employ
4 lowest achievable emission rate technology.

5 Q Even though it's a non-attainment for ozone and not NOx?

6 A That's correct. They look at VOCs and NOx whenever you
7 have ozone NOx and VOCs come into play.

8 Q And why is that?

9 A They lead to the formation of ozone.

10 Q Okay.

11 MS. SHIREY: I would ask that Ecology
12 Exhibit 13 be admitted.

13 MR. WISE: Any objection?

14 MS. POWER: No.

15 MS. BRIMMER: No.

16 MR. WISE: Ecology Exhibit 13 is
17 admitted.

18 (R-ECY-13 admitted.)

19 Q (By Ms. Shirey): So if I have counted correctly, it
20 looks like you reviewed eight facilities. Does that
21 sound about right?

22 A Sounds about right.

23 Q And there were two projects at one of them, so nine
24 projects. So out of those nine projects, did any
25 require SCR as BACT for coker heaters?

1 A Yes, some of them did, a few of them did, they listed
2 SCR as BACT.

3 Q Can you go back. So you told me that --

4 A The Flint Hills facility listed SCR as BACT, but that
5 was the one that had no cost analysis.

6 Q Which one?

7 A The Flint Hills, Minnesota.

8 Q Any of the other ones?

9 A Garyville said it was voluntarily listed. Could have
10 been rejected. I don't recall if they considered that
11 BACT or not. Could have been rejected, but it looks
12 like they considered that BACT.

13 Q But did Garyville employ it as BACT or did they put it
14 on voluntarily?

15 A They put it on voluntarily, that's right. If you're
16 asking if BACT was required for them to put SCR, the
17 answer is no, if that's what you're asking.

18 Q And BP - Whiting, was it BACT?

19 A No. I mean, that's correct, that was a non-attainment
20 area triggered the SCR.

21 Q And at the Arizona facility?

22 A Like I said, the facility that was never built.

23 Q Flint Hills, you said one of them required as BACT?

24 A Yes.

25 Q How about the Total, Texas, was that required as BACT?

1 A That would be LAER.

2 Q And Marathon, Shell - Martinez?

3 A Same, LAER required.

4 Q And Tesoro - Martinez?

5 A And that would also be LAER.

6 Q So I think you only named one that was actually where
7 BACT was required; is that right?

8 A It's listed as BACT without a cost analysis. I believe
9 that's the only one.

10 Q Okay. Do you know of any other places where selective
11 catalytic reduction has been required as BACT for coker
12 heaters?

13 A For coker heaters, no.

14 Q Does EPA guidance say anything about how to evaluate a
15 technology that has not been required as BACT or that
16 has rarely been required as BACT?

17 A Does it say anything? Yes.

18 Q I want to turn to Joint Exhibit 12. Do you recognize
19 this exhibit, Joint Exhibit 12?

20 A Yes. It's the 1990 New Source Review Workshop Manual,
21 Draft, dated October 1990.

22 Q I want you to turn -- actually, did you hear Al Newman's
23 testimony on this?

24 A I did.

25 Q And did he read a portion of this that talked about what

1 you do when a technology has not been required as BACT
2 or has rarely been required as BACT, do you remember
3 that?

4 A I believe he read some things; I don't remember exactly.

5 Q Okay. If you would turn to page 3.45.

6 A Okay.

7 Q And in the middle paragraph on that page, the sentence
8 beginning "Specifically."

9 A Okay.

10 Q So what does it say there?

11 A "Specifically, the applicant should document that the
12 cost to the applicant of the control alternative is
13 significantly beyond the range of recent costs normally
14 associated with BACT for the type of facility (or BACT
15 control costs in general) for the pollutant."

16 Q So I want to turn to Ecology Exhibit 9.

17 A Okay.

18 Q Do you recognize this document?

19 A Yes, I do.

20 Q Did you help prepare this document?

21 A Yes, I did.

22 Q So what is it?

23 A It's a list of recent BACT determinations for the
24 specific pollutant NOx by the Department of Ecology.

25 Q And what does it show about cost that Ecology has

1 rejected -- for costs where Ecology has rejected the
2 control for NOx?

3 A What the costs are?

4 Q Yeah.

5 A It shows costs ranging from approximately 11,600 on up
6 to 65,000 that were all rejected based on economic
7 analysis of being too costly.

8 Q What does it show about costs that have been accepted as
9 BACT?

10 A It shows that costs were not calculated for the accepted
11 option.

12 Q And why was that?

13 A It's conceivable you could have costs for -- in this
14 case, the next one down, and they just accepted that as
15 BACT and they didn't do a cost analysis to try to get
16 out of it, so to speak.

17 Q Does that mean that cost analyses are often or normally
18 done to disqualify a technology as BACT?

19 A Yes, it does.

20 Q I want to turn to Exhibit R-38, and that's going to be
21 in BP's exhibit book, the white one.

22 A Which number?

23 Q R-38.

24 A Okay.

25 Q What is this document?

1 A This is a cost analysis that has Ramboll's name on it as
2 BP's consultant for the BP coker heater equipped with an
3 SCR, dated April 4, 2018.

4 Q So this would be BP's corrected cost analysis, is that
5 right, correcting for the error that they found that
6 they had earlier been comparing the costs of two SCRs to
7 the benefits of one; is that right?

8 A Yes, that's my understanding.

9 Q So what is the cost effectiveness number on this
10 document?

11 A So there's two columns provided. The lowest cost on the
12 page is \$12,361 per ton of NOx removed.

13 Q So does that change your opinion about whether SCR
14 should be BACT in this case?

15 A No, it does not.

16 Q So did this come as a surprise to you that BP's earlier
17 cost effectiveness analysis evaluated as SCR evaluated
18 costs for two SCR units and emissions from just one?

19 A Yes.

20 Q Was there anything in BP's 2016 permit application that
21 indicated that the cost analyses were looking at costs
22 for two SCRs?

23 A If there was, I missed it.

24 Q So did you see anything?

25 A I did not.

1 Q All right. When you got this updated analysis, did you
2 question it at all?

3 A The whole analysis or a specific part?

4 Q No, the whole thing.

5 A I did.

6 Q So what did you question?

7 A That they had used a higher ammonia reagent value cost
8 per pound previously and now it's dropped significantly
9 from before, so I looked into -- I questioned that
10 initially.

11 Q And what did you find?

12 A The price of ammonia has changed; it bounces around a
13 lot. If an applicant comes and says the price of
14 ammonia is double the last three years and gone back,
15 moved around a lot, we provide some latitude in what
16 cost for ammonia they we would propose, because,
17 remember, we're looking at a 25-year period. I looked
18 back, I think, the last four and half years from when
19 the project started and I found costs up to maybe 35
20 cents a pound, and you go back a little further, you
21 could find maybe 38 cents a pound. I think they reached
22 45 cents a pound prior to that. So I would have been
23 willing to accept a slightly higher cost, to be honest,
24 because of the way the price has bounced around, but
25 consistent with them, BP tends to be conservative,

1 although, they missed that and I did, too, at the double
2 counting of the SCR. Other than that, they tend to
3 overestimate, which is helpful to an engineer when you
4 know the applicant is overestimating emissions, so if
5 they make a mistake like this, as you can see, they're
6 still above our back threshold.

7 Q Okay. I want to take a little bit closer look at the
8 costs in this analysis. What does the analysis show is
9 the annual interest rate?

10 A Seven percent.

11 Q Do you agree that that is appropriate for this project?

12 A My understanding is, yes, it is.

13 Q And why is that?

14 A They list the reference to the cost manual.

15 Q So did you hear the discussion earlier today about
16 interest rates with Alan Newman?

17 A I did.

18 Q Do you agree with Mr. Newman about 7 percent interest
19 rates?

20 A I do.

21 Q And have you been trained on how to do these analyses?

22 A I haven't been in the Department of Ecology as long as
23 he has, but when I see a default value in a cost manual,
24 that's okay; as far as I'm concerned, it's a usable
25 number.

1 Q All right. So what does this document show about the
2 contingency rate?

3 A I believe it says 15 percent. I haven't found it yet,
4 but I'm pretty sure that's here somewhere. I'm not
5 seeing it, but I do recall -- okay, there it is, it's 15
6 percent.

7 Q In paragraph 78 of his prefiled testimony, Dr. Sahu
8 claims that the contingency rate should have been 5
9 percent rather than 15 percent. Do you agree with that?

10 A No, I do not.

11 Q Why not?

12 A BP started with a facility-specific contingency factor
13 of 30 percent. They wanted to err on the side of the
14 EPA manual. Once again, as a permit engineer, I
15 appreciate some consistency there, but referring back to
16 the cost manual, it's 15 percent.

17 Q So in paragraphs 52 and 54 of his prefiled testimony,
18 Dr. Sahu claims that BP's cost analysis improperly
19 evaluates incremental cost effectiveness rather than
20 average cost effectiveness. Can you talk a little bit
21 about what is average cost effectiveness and what is
22 incremental cost effectiveness?

23 A Sure. And I had conversations with the BP engineer at
24 the time, when Scott Inloes was the engineer, and I
25 believe also with Colleen Kemp, and discussed using an

1 average cost analysis, not incremental, and doing some
2 research, the Puzzle Book says you can use the average
3 cost or incremental cost, but if you're going to use
4 incremental cost, you have to use it with some other
5 support, whereas, if you use an average cost, that alone
6 can stand.

7 Quite often, you'll see both. Some people
8 supplement the incremental cost with an average cost,
9 and that's in compliance with the Puzzle Book. There
10 was a challenge, I believe, at some time in the past
11 where someone, some facility, tried to use an
12 incremental cost by itself, or someone said you cannot
13 use an incremental cost at all, but they lost, you can
14 use it, but as I just said, if you're going to use a
15 incremental cost, you have to have something with it,
16 and most of time, that's an average cost, and as I said,
17 you may have an average cost all by itself.

18 In this case, BP provided both costs for almost
19 every technology they looked at, every cost analysis
20 they looked at, and never did they rely on an
21 incremental cost in and of itself by itself.

22 Q How do you evaluate average cost effectiveness?

23 A Instead of looking at comparison between two control
24 technology alternatives, which would be an incremental
25 cost, you look at total tons removed between the

1 inherent-based technology and the cost for that in tons
2 removed.

3 Q And what do you do with an incremental cost
4 effectiveness evaluation?

5 A That would be just comparing two different control
6 technologies and the cost between them.

7 Q In your opinion, is this cost analysis in Exhibit R-38,
8 is that an average cost analysis or incremental cost
9 analysis?

10 A Average.

11 Q And why do you say that?

12 A Because they aren't comparing this technology to what I
13 believe now is inherent-based technology.

14 Q And by that, do you mean the alternative NOx burners?

15 A Yes.

16 Q I want to turn to EPA's guidance again, JE-12, at page
17 B-37, which is JE001335.

18 A I am sorry, could you say that again.

19 Q JE001335.

20 A Of which exhibit?

21 Q Joint Exhibit 12. I think you're in wrong book.

22 A I'm in 12 and could you repeat the page number one more
23 time.

24 Q 001335.

25 A Okay.

1 Q So I believe on this page it says that, in doing a cost
2 effectiveness analysis, you can't set your baseline as
3 emissions controls necessary to meet new source
4 performance standards. Is that what that says?

5 A Yes.

6 Q And are ultra-low NOx burners, do they meet new source
7 performance standards in this case?

8 A They do.

9 Q So does that make BP's analysis wrong?

10 A I don't believe so.

11 Q And why not?

12 A Initially, going back to August of 2016, this issue was
13 brought up by the EPA and emailed to the Northwest Clean
14 Air Agency, which is the agency that will enforce this
15 permit, Title V permit. So looking at this 1990
16 Workshop Guidance Manual, it provides some other
17 options. It says you can take historically higher upper
18 bound as an option. That was the first option that was
19 jumped on and we stuck with that option.

20 There are other considerations to look at, which
21 BP did. They insisted all along that just,
22 coincidentally, it's the same as the new source
23 performance standard, but to avoid an appearance of
24 trying to err on the side of being conservative, you
25 know, our approach, so we forced them to use an

1 historical upper bound, which I think acknowledging
2 using historical upper bound, you are talking about the
3 heaters that are going to be removed and that doesn't
4 make much sense if you're going to install new heaters.

5 So we're now aware of more documents that support
6 the case that ultra-low NOx burners are the inherently
7 lower based technology from which to look at your BACT
8 cost analysis.

9 Q I want to slow down just a bit. So on that page that
10 you've got with the page B-37 in the EPA Cost Manual,
11 I'm sorry, EPA's PSD manual, does it mention inherently
12 lower pollutant processes somewhere?

13 A I believe it does. The last paragraph, there is a
14 little bit of an odd -- one-word sentence, a one line
15 that just has a word in it. I'll start before there.
16 It says, "Estimating a realistic upper-bound case
17 scenario does not mean that the source operates in an
18 absolute worst-case manner all the time. For example,
19 in developing a realistic upper boundary case, baseline
20 emissions calculations can also consider inherent
21 physical or operational constraints on the source."

22 Q I'm going to stop you a minute and look at the paragraph
23 above that. The sentence that starts, "When calculating
24 the cost effectiveness."

25 A Okay.

1 Q What does that say?

2 A It says, "When calculating the cost effectiveness of
3 adding post process emissions controls to certain
4 inherently lower polluting processes, baseline emissions
5 may be assumed to be the emissions from the lower
6 polluting process itself."

7 Q Okay. So if I'm understanding right, you started out by
8 thinking you could look at the upper bound?

9 A Yes.

10 Q And then you found that you were convinced that BP could
11 take -- that the baseline could be assumed to be the
12 emissions from the lower emitting process itself, if I
13 understood you right?

14 A Yes.

15 Q Have you seen any EPA guidance letters on this?

16 A Yes, I have.

17 Q I wonder if you could turn to Exhibit R-14. That's BP's
18 book.

19 A I have it.

20 Q R-14. Are you there?

21 A Yes.

22 Q Do you recognize this document?

23 A Yes, I do.

24 Q What is it?

25 A It's a fact sheet for a facility called the Palmdale

1 Energy Project and Fact Sheet for a permit dated August
2 -- the fact sheet is dated August 2017.

3 Q I believe that this exhibit has already been admitted.
4 It was discussed yesterday by one of BP's witnesses. So
5 if you turn to page 36, what does this document say --
6 at the top of 37, I think, what does it say about ultra-
7 low NOx burners?

8 A The first paragraph?

9 Q Yes.

10 A It says, "The applicant submitted a cost analysis
11 demonstrating that SCR is not cost effective for the"
12 facility's "auxiliary boiler. The applicant estimated
13 the cost effectiveness at \$58,100 per ton of NOx
14 removed. However, in conducting this analysis, the
15 applicant looked at the cost of reducing NOx from the
16 incremental cost range of going from 9 parts per million
17 using ultra-low NOx burners instead of the total cost
18 effectiveness from the base case. We agree that when
19 calculating the cost effectiveness of adding post
20 process emissions controls to certain inherently lower
21 polluting processes, in this case, ultra-low NOx
22 burners, baseline emissions may be assumed to be the
23 emissions from the lower polluting process itself."

24 Q Okay. So when you saw this guidance, did that change
25 your thinking at all?

1 A It did. Our thinking was always that it was a little
2 bogus to use a technology that's going away, the control
3 creator's upper bound, historical upper bound, is going
4 away just because it's coincidentally the same as an
5 NSPS.

6 Q You got to stop a minute, because what's the same?

7 A Oh, the proposed limit of the ultra-low NOx burner,
8 capacity of the burner, matches new source performance
9 standard.

10 Q And so what were you saying about that?

11 A So on that basis alone, we were erring on the side you
12 can't do this, let's not do that, let's make them use
13 the historical upper bounds. That's what we did until
14 now. It's pretty clear that ultra-low NOx burners are
15 the inherently lower baseline technology and you can use
16 that itself. It justifies not doing the approach that
17 we forced BP to do.

18 Q So I want to turn to Exhibit JE-1 at page JE000156.

19 A Okay. Could you repeat the reference.

20 Q JE000156.

21 A Of Exhibit 1, correct. I am there.

22 Q Do you recognize this document?

23 A I do.

24 Q What is this?

25 A This was initial BACT cost analysis that BP provided to

1 us for SCR use for the coker heaters.

2 Q And what is the cost effectiveness number on this
3 document?

4 A It is \$39,500 per ton.

5 Q And when you got questions about the baseline on this
6 document, what did you do, the baseline emissions for
7 this document?

8 A I continued conversations that we had started with the
9 Northwest Clean Air Agency back in August 2016 and I
10 converted this number using historical upper bound
11 value.

12 Q What do you mean by you converted the number?

13 A So instead of using NSPS baseline case as they list
14 there, which is .06 pounds of NOx per million BTU, we
15 used a recent test provided by the Northwest Clean Air
16 Agency, a test result, which was, I believe, first test
17 result was .074 pounds of NOx per million BTU, and we
18 substituted the .074 for the .06 that's in the line near
19 the bottom, fourth line from the bottom. The first row
20 under "Cost Effectiveness," you will see a 303 million
21 BTU per hour, and right after that is .06 pounds NOx
22 million BTU number that I just referred to that we
23 substituted with the .074 pounds per NOx per million BTU
24 provided from the Northwest Clean Air Agency.

25 Q And that number came from two tests I think you said?

1 A I think the first one was -- I think just one test or
2 most recent test at that time, I believe.

3 Q Okay. Could you turn to Ecology Exhibit 14.

4 A Okay.

5 Q Do you recognize this document?

6 A Yes, I do.

7 Q And so what is it?

8 A It includes the conversion I just mentioned along with
9 the reference to the Northwest Clean Air Agency email
10 that I also referenced.

11 Q Did you prepare these calculations?

12 A This first page is calculations I did, Northwest Clean
13 Air Agency's calculations they did provide, but it's
14 listed in the email that matches the number that I came
15 up with.

16 MS. SHIREY: Okay. I'm going to ask
17 to get Ecology Exhibit 14 admitted.

18 MR. WISE: Any objections?

19 MS. BRIMMER: No objection.

20 MR. WISE: Ecology Exhibit 14 is
21 admitted.

22 (R-ECY-14 admitted.)

23 Q (By Ms. Shirey): So now do you think that the way you
24 did this recalculation was correct?

25 A I mean, it is correct.

1 Q I guess I didn't ask that right. Do you think that this
2 recalculation is the correct way to determine the
3 baseline in this case?

4 A I don't think it's the best way; I don't think it's the
5 most accurate way.

6 Q What is the best way?

7 A Since the old coker heaters will be removed, referencing
8 emissions from it seems not as accurate as referencing
9 the new technology, which is the new coker heater ultra-
10 low NOx burner.

11 Q Okay. So looking back at BP Exhibit R-38, the
12 recalculated BACT cost analysis.

13 A You said Ecology?

14 Q I'm sorry, R-38, it's the BP document.

15 A Okay.

16 Q So did you do a revised baseline analysis for this
17 particular version of the cost analysis, using the
18 baseline you used for your recalculations of the earlier
19 BACT analysis?

20 A I believe I did. It's not shown here.

21 Q So what did you find?

22 A I think it came to 11,700 or eight hundred. I can't
23 remember the exact number. And I played around with the
24 ammonia number, like I said, on my own, say 33 cents a
25 pound, might be willing to accept 35. Anyway, it was

1 around 11,000, 12,000 range, closer to 12,000.

2 Q Okay. So is that document with that calculation, is
3 that one of the exhibits that Ecology has provided for
4 this hearing?

5 A This one here?

6 Q No, the one, your recalculation that you were just
7 describing.

8 A I don't know if it has.

9 Q I'll tell you it hasn't.

10 A Okay.

11 Q So why would we not have provided that?

12 A Okay. We are convinced now that the approach of doing
13 that, using the historical upper bound, is not the best,
14 although, justified by the Puzzle Book, it's just not
15 appropriate for technology that's going away compared to
16 new information and newer technology, and in light of
17 the fact that it is justified by guidance documents to
18 be the inherently baseline technology.

19 Q So do you still believe that selective catalytic
20 reduction is not cost effective as BACT for the new
21 coker heaters at BP?

22 A I do.

23 MS. SHIREY: I just noticed we're
24 almost at 4:30, and this is a reasonable stopping point,
25 unless you want to keep going.

1 MR. WISE: I think we'll have to come
2 back tomorrow anyway and I am a little concerned about
3 State Parks' tolerance, so why don't we go ahead and
4 stop today and then we'll start at 9:00 in the morning
5 and finish this up.

6 MS. BRIMMER: Could I ask a
7 housekeeping question. And I don't know if you need
8 this on the record or not, I'll let you decide. I just
9 want to make sure that I have an understanding, if I
10 could, of how much longer Mr. Huitsing's direct is so
11 that I just have adequate time to do a little bit of
12 cleanup rebuttal at the very end.

13 MR. WISE: Okay. Ms. Shirey, do you
14 have any idea how much longer?

15 MS. SHIREY: I can tell you I didn't
16 think it was going to take nearly this long, so -- I
17 thought we'd be done by now. I'm about three quarters
18 of the way through, so --

19 MS. BRIMMER: My estimate is then that
20 we'll probably finish with Mr. Huitsing at least by
21 noon, so that that would leave time for rebuttal.

22 MR. WISE: Yeah, hopefully.

23 MS. POWER: Your Honor, I would just
24 note that to the extent that there is rebuttal, that we
25 ask that it be very limited because all of the expert

1 testimony was prefiled in this case, and so with respect
2 to rebuttal, it should, in fact, truly be something new
3 that has come out within the hearing that we would
4 expect rebuttal testimony on.

5 MR. WISE: Yes, I agree, it should
6 address new things that have come up during the hearing.

7 MS. BRIMMER: There's been quite a
8 bit, so yes.

9 MR. WISE: Okay. We'll see you
10 tomorrow.

11 (The hearing recessed at 4:30 p.m.
12 to resume April 27, 2018, at 9:00
13 a.m.)

14

15

16

17

18

19

20

21

22

23

24

25

